

1
2
3
4 **IMPACT OF CLIMATE ISSUES ON**
5 **AMERICA'S ENERGY COAST HEARING**

6
6 **WEDNESDAY, FEBRUARY 24, 2010**
7
7

8
8 **The Battle House Hotel**
9 **Moonlight Ballroom**
9 **Mobile, Alabama**
10
10 - - - - -
11
11
12
12
13
13
14
14
15
15
16
16
17
17
18
18
19
19
20
20

21 **Reported by: Karen S. Snell, CCR**
21
22
23

0002

- 1 - Sidney Coffee, Americaís WETLAND Foundation
2 - Val Marmillion, Americaís WETLAND Foundation
2
3

3 **OPENING REMARKS**

- 4 - Gary Serio, Entergy
4 - Heather Holsinger, Pew Center on Global Climate
5 Change
5
6

6 **IMPACTS OF SEA LEVEL RISE ON AMERICAÍS ENERGY COAST**

- 7 Moderator: Dr. Robert Twilley, Louisiana State
7 University
8 - Dr. David P. Brown, LSU

- 8 - Dr. George Crozier, Dauphin Island Sea Lab, Alabama
9 - Dr. Torbjørn E. Tjørnqvist, Tulane University

9
10

10 REGIONAL APPROACHES TO CLIMATE ISSUES

- 11 - Janice Adair, Department of Ecology, State of
11 Washington
12 - Eddie Fisher, Texas General Land Office
12 - Pat Hogan, Pew Center for Global Climate Change

13
13

14 PROSPERING IN A CARBON CONSTRAINED ECONOMY AND
14 ADAPTING TO CLIMATE IMPACTS

- 15 - Thomas D. Peterson, The Center for Climate
15 Strategies
16 - Dr. Tracie Sempier, Mississippi-Alabama Sea Grant
16 - Dr. LaDon Swann, Mississippi-Alabama Sea Grant
17 - Julie Harrison, Southeast Energy Efficiency
17 Alliance

18
18

19 ADJOURNMENT

- 19 - Gary Serio, Entergy
20 - Heather Holsinger, Pew Center on Global Climate
20 Change
21 - Sidney Coffee, America's WETLAND Foundation
21 - Val Marmillion, America's WETLAND Foundation

22 * * *
23

0003

- 1 Gary Serio, Entergy (Co-Chair)
2 Heather Holsinger, Pew Center on Global Climate
2 Change
3 Maura Wood, National Wildlife Federation

3
4

4 OTHER LEADERSHIP PANELISTS

- 5 Sidney Coffee, America's WETLAND Foundation
5 Val Marmillion, America's WETLAND Foundation
6 Tina Shumate, Mississippi Department of Marine
6 Resources
7 Dr. Robert Twilley, Louisiana State University

8
9

10
11
12
13
14
15
16
17
18
19
20

21
22
23
0004

1 PROCEEDINGS

2 MS. SIDNEY COFFEE:

3 I want to welcome everyone today.
4 Thank you so much for participating in our
5 climate hearing. My name is Sidney Coffee.
6 I'm senior adviser for the America's Wetland
7 Foundation. And this is the third or fourth
8 hearing that we've held in the region on
9 various topics that are important to our
10 region.

11 And before I turn it over to Val
12 Marmillion, who is going to really give you
13 some background of the AEC and explain how
14 today is going to work, I wanted to point out
15 the fact for those of you who know nothing --
16 who are in the room and know nothing about
17 this organization or collaboration and what we
18 do.

19 To point out a couple of things. The
20 America's Wetland Foundation started this
21 America's Energy Coast Initiative almost
22 three years ago now, and it includes the
23 coastal producing states of Texas, Louisiana,

0005

1 Mississippi, and Alabama, who have a very
2 special set of circumstances that they deal
3 with, which brings me to the uniqueness
4 factor, which is an extremely important
5 factor.

6 And as you listen to this hearing and
7 as you participate and ask questions and make
8 presentations, we'd like very much for you to
9 keep the uniqueness of this region at the
10 forefront.

11 Just to show you how unique it is,
12 almost 90 percent of the nation's offshore oil
13 and gas is produced through offshore and comes
14 through this coastline. It has the largest
15 port system in the world. Louisiana's south
16 Louisiana port system is literally by tonnage
17 the largest in the world, and I'm not even
18 counting Texas and Mobile and Mississippi as
19 part of that.

20 Fisheries. Most productive in the
21 United States outside of Alaska. The largest
22 two migratory flyways in North America are
23 located in this region. The communities are

0006

1 extremely vulnerable. Communities that
2 support this region and all of its economic
3 activity are extremely vulnerable as we all

4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
0007

know.

We are facing sea level rise. We are facing -- we're on the front lines of sea level rise. Aggressive storms. This region contains the seventh largest delta in the world. We have a set of circumstances, just associated with that delta from sediment being trapped upstream to, as I mentioned, sea level rise, to subsidence to the leveeing of the Mississippi River which shoots the sediments that can come down and the fresh water that does come down off the continental shelf and into the deep Gulf.

We move the nation's commerce. We produce its energy. We supply its seafood. And we're all vulnerable. Not to mention everything that happens on this region, every -- in this region, every issue that converges in this region depends on a sound environment. So what applies from a federal

policy perspective and on and on and on.

When you look at this region, you cannot have cookie cutter approaches to it. What works for the coast of North Carolina or the coast of Washington state does not work here in this region. This region has to be understood by its uniqueness. And all of the approaches we take to this region and all the policies that affect this region have to be handled within that context.

So that's just something I wanted to point out at the very beginning because I think the uniqueness is a huge point that has to be taken into everything that we discuss.

Val.

MR. VAL MARMILLION:

Thank you, Sidney. And thank you for coming this morning. We're very happy to be in Alabama for our first session in Alabama. We have slowly moved across from Texas through Louisiana and Mississippi and are engaged in Alabama in a broader way, because we realize as we began the America's Wetland Foundation

0008
1
2
3
4
5
6
7
8
9
10

sometime ago, before Katrina, that our job was to try to save the wetlands in coastal Louisiana, that we are dealing with something beyond the parochial boundaries of states, definitely beyond the parochial boundaries of congressional districts, where budgets are made, authorized, and appropriated, and that we have a system in the gulf that at times does not have the quality and the volume of voice that is necessary from a unified sense

11 to go out and talk about what we need in this
12 region. So we have come together because of
13 that.

14 You don't see elected officials around
15 this table because, in a sense, we are a group
16 of stakeholders that impact what others are
17 thinking, and that's our agenda to do that.
18 Toward that end, over time, we do polling.
19 And a little over a year ago we polled the
20 region for the first time. And the attitudes
21 that we found were important to this
22 discussion.

23 We found that -- we asked which best

0009

1 following describes how you feel. Americans
2 must learn to consume less of everything; it
3 is the only way we can become energy
4 independent and protect the quality of our
5 environment scored 47 percent against
6 44 percent of there's plenty of oil off our
7 shore and we should feel free to go out and
8 drill and find it. That's the only way we
9 will become energy independent.

10 And so we a very -- if that poll was
11 taken again today, we would have -- we have
12 mixed feelings, and what that says to us is
13 not either/or. It says that we have a group
14 of people living down here who many are
15 employed by industries that provide energy to
16 the country, but there is a real want to
17 develop this region with environmental
18 stewardship.

19 And so that's our -- that's our charge.
20 This America's Energy Coast has the words
21 climate, energy, and the coast in it for very
22 specific reasons. Because we want to cover
23 all topics.

0010

1 Further in that goal, we ask if you
2 believe climate change is a serious problem
3 that threatens everyone and is a serious
4 problem for everyone, threatens everyone is
5 35 percent. Is somewhat of a serious problem,
6 22 percent. Is not nearly as serious a
7 problem as other problems, 23 percent. And is
8 not a problem at all, 17 percent.

9 So there is concern and there is an
10 awareness. And I think that oftentimes we
11 hear from other places around the country and
12 the world that this particular region does not
13 have maybe a sense of where the world is
14 moving.

15 And our discussions today are about
16 trying to figure out what the regional sense
17 is. What really does make sense for us to

18 maintain our economic vitality, knowing that
19 there is going to be conventional energy
20 development along our coast and to maintain
21 really one of the most dramatic ecosystems or
22 one of the most impressive ecosystems on the
23 planet that is also one of the most vulnerable

0011

1 at this time.

2 Our charge for those of you who don't
3 have packets is from an accord for
4 sustainability that was approved two years at
5 our first Texas meeting. And in this
6 particular -- we have a number of task groups,
7 and I won't go through them for the sake of
8 time, but what we are talking about is that
9 for the foreseeable future the America's
10 Energy Coast will continue to develop domestic
11 energy supplies and has the opportunity --
12 opportunity -- to be a global leader in
13 alternative energy resources and technologies
14 in the mitigation of greenhouse gases,
15 including carbon capture sequestration and
16 energy conservation and efficiency.

17 It is imperative in the Gulf region to
18 take a balanced approach to the introduction
19 of climate change, taking into consideration
20 mitigation and adaptation measures. So this
21 is an accord that passed by a group of people
22 thinking we were a bit of an oddity. We
23 announced our opening as a foundation with the

0012

1 president of Shell on one side and the
2 Governor of Louisiana and the president of
3 Environmental Defense. From that moment on,
4 it has been sort of a balanced dialogue. And
5 I must say it's not easy to keep it balanced.

6 It's probably less benefits to keep, to
7 have balanced approaches oftentimes than to
8 have a strong position in one regard or
9 another. So that's what our intention is
10 today to have a balanced discussion, which in
11 no way means that we should not feel open to
12 disagree with each other.

13 I'm going to turn it over to the
14 chairman of our task force for climate, Gary
15 Serio from Entergy Corporation.

16 MR. GARY SERIO:

17 Thanks, Val. I notice, Val, when you
18 said there's disagreement, then you turned it
19 over to me. I don't understand that.

20 Well, good morning. I just want to
21 tell you it's a real pleasure to be here
22 today. I've been looking forward to this
23 meeting for about 18 months so that we could

0013

1 get together collaboratively and talk about
2 climate change issues.

3 But before I get started with climate
4 change issues and discussions, I'd like to go
5 on and recognize some people that made this
6 all possible. Sometimes we take that for
7 granted and move on. I guess the first thing
8 I would like to recognize is America's
9 Wetlands Foundation because they had the
10 vision and the foresight over three years ago
11 that climate change was an issue and looked to
12 bring a diverse group of people together to
13 discuss the issue, to see if we could solve
14 this issue.

15 And specifically with Val and Sidney
16 and Amy and Lisa and a lot of the people
17 behind the scenes. They were very effective
18 in facilitating this journey for the last
19 two years. Very spirited discussion. Some
20 trouble finding common ground, but they were
21 effective in moving us to where we can at
22 least get together and have a good discussion.
23 So thank you for the America's Wetlands

0014

1 Foundation.

2 Second of all, I would like to really
3 recognize -- and you will see today those
4 people that are participating in our panel
5 today. Some of you have come a long ways to
6 participate in this and share your expertise
7 and your experience on climate change issues.
8 And as we all know, knowledge is power. And
9 we only move the ball down the field when we
10 have that knowledge on the table. So thank
11 you for being here today.

12 Third, I'd like to thank the Pew Center
13 on Global Climate Change for co-chairing the
14 Climate Solution Task Force with me. Without
15 them, it would have been a very lonely road to
16 travel. I depended on them for their
17 expertise and their guidance, and it's truly
18 appreciated.

19 And then, lastly, I'd like to recognize
20 a colleague of mine, Jeff Williams, over here
21 sitting here. He's been with me, America's
22 Energy Coast, since its inception in the
23 fourth quarter of 2007, and he was

0015

1 instrumental in helping us put the panelists
2 together. So, Jeff, thank you for that.

3 When I see or look at AEC, I don't see
4 an acronym. I don't even see America's Energy
5 Coast. What I see are four states who are
6 truly blessed, now, four states -- Alabama,
7 Louisiana, Mississippi, and Texas -- that are

8 blessed with abundant shorelines, wetlands,
9 natural resources, aquatic and land animals in
10 the boundaries of their states.

11 But with that blessing also comes a
12 tremendous responsibility, a responsibility
13 that we have to protect, to preserve, to
14 sustain those national assets, and that's
15 where the challenge comes in. It somewhat
16 reminds me of Apollo 13 in 1970 when we got
17 that famous message that came back at Johnson
18 Space Center that says, "Houston, we have a
19 problem."

20 Well, I'm here today to say, Mobile, we
21 have a problem, and climate change is our
22 problem. And unless we're willing to address
23 that problem in the near term, it

0016

1 significantly grows on us to where we are
2 transferring a significant liability to our
3 grandchildren and future generations.

4 Now, there's 10 million people that
5 live in 48 contiguous counties and parishes
6 between Galveston, Texas, and Mobile, Alabama.
7 Most people -- most of them aren't really
8 involved in climate change. They expect or
9 think that those national assets that I've
10 just referenced are always going to be there.

11 We have industries that have billions
12 of dollars of infrastructure in those counties
13 and parishes that don't truly get involved in
14 climate change. We're expecting that they
15 will be able to operate there as long as they
16 want to. But the fact is they're all
17 depending on the scientific community and
18 decision-makers at the federal and our
19 four-state level to make the proper decision
20 when it comes to climate change.

21 Well, we all know, especially the
22 scientists in this audience today know, that
23 not addressing climate change is not really an

0017

1 option for us. In fact, at Entergy the debate
2 on whether climate change was a myth, although
3 we obviously settled way back in the year
4 2000. We were the first utility company in
5 the United States that voluntarily signed up
6 for mandatory, for ourselves, greenhouse gas
7 reduction, and we continue to march that path
8 today.

9 In fact, our chairman and CEO Wayne
10 Leonard is very passionate about climate
11 change. He has publicly gone on record saying
12 that this is the final environmental issue in
13 his lifetime. And he firmly believes that if
14 you don't address this, that the consequences

15 for future generations are significant.

16 So we have five guiding principles at
17 Entergy when it comes to climate change. Only
18 two that I will leave you with today is that
19 climate change is real and, number two, it
20 needs to be addressed. But I know you're not
21 here to determine what point of view Entergy
22 has. And we have assembled a group of
23 experts, scientific experts, to be here today.

0018

1 In fact, I was talking about we should
2 have had this meeting in Las Vegas because we
3 have stacked the deck. We have again for this
4 environmental experts. And they're here today
5 to put more knowledge on the table and to help
6 us navigate the landmines that are out there
7 when we deal with climate change.

8 The first thing I'm going to look
9 forward to today, we're going to look at the
10 impacts of sea level rise on our coastal
11 communities.

12 Then we're going to move into a second
13 panel where they're going to be looking at the
14 practices that we're seeing in the northeast
15 and in the west and other states that deal
16 with it. Climate change is not specific to
17 the four states that we're interested in
18 America's Energy Coast, but it's a global
19 issue. And we're going to look at the best
20 practices that they have and the fact that we
21 can take some of those practices and make our
22 path forward more efficient and less costly.

23 Then our last panel of experts, we're

0019

1 going to look at some very user friendly, cost
2 effective tools that we can use to not only
3 plan for climate change, but to negotiate and
4 deal with the adaption and the mitigation
5 issues associated with climate change.

6 And when it comes to adaptation and
7 mitigation issues, there's no better place to
8 go than the Pew Center On Global Climate
9 Change. So I'm really proud today to go on
10 and introduce Heather Holsinger, who is my
11 co-chair on this task force and let her spend
12 a few moments with you on an idea of how the
13 Pew Center sees climate change.

14 MS. HEATHER HOLSINGER:

15 Well, thank you, Gary. I think you
16 have really summarized some of our challenges
17 and opportunities very well for this region.

18 On behalf of the Pew Center, I'd like
19 to thank you all for coming today as well. I
20 would also like to speak on behalf of Judi
21 Greenwald, my colleague, who many of you have

22 worked with in the past. She was not able to
23 make it here today, but she certainly sends

0020

1 her regrets. And I'd also like to thank the
2 staff of America's Wetland Foundation for
3 their help in organizing the hearing today.

4 The Pew Center On Global Climate Change
5 believes that having diverse groups come
6 together to discuss global climate change is
7 important, and that is why we have partnered
8 with Entergy on the impacts program and have
9 actively participated in the America's Energy
10 Coast project.

11 The Pew Center brings together
12 businesses, policymakers, scientists, and
13 other experts to bring a new approach to
14 complex and often controversial issue of
15 climate change. Our approach is based on
16 sound science, straight talk, and a belief
17 that we can work together to protect the
18 climate while sustaining economic growth.

19 We hold regular briefings with members
20 of Congress, with state leaders, with national
21 leaders, and folks in the executive branch as
22 well. And we engage the business community,
23 such as folks at Entergy, and others, in the

0021

1 search for solutions in reaching out to
2 educate key audiences about Global Climate
3 Change.

4 Without cooperative and constructive
5 discussions among public and private entities,
6 this region's rich national resources,
7 productive landscape, and energy, maritime,
8 and environmental assets will remain at risk.
9 So I look forward to hearing from all of you
10 today, and I think we should probably go ahead
11 and get started and start with introductions
12 here around the table.

13 I think start here, going in this
14 direction, although you've already been
15 introduced to the folks to my right. And then
16 let's try to keep it as quick as possible so
17 that we can keep everything with our really
18 great agenda today.

19 MS. TINA SHUMATE:

20 I'm Tina Shumate with the Mississippi
21 Department of Marine Resources and also the
22 chair of the Resilience Committee for
23 (inaudible).

0022

1 MS. MAURA WOOD:

2 I'm Maura Wood with the National
3 Wildlife Federation, sitting in for Carla
4 Rettig and Susan Circa.

5 MR. JEFF WILLIAMS:
6 I'm Jeff Williams and I do climate
7 consulting for Entergy.

8 MS. JULIE HARRISON:
9 I'm Julie Harrison and I'm the deputy
10 directory of the Southeast Energy Efficiency
11 Alliance.

12 DR. LADON SWANN:
13 Good morning. My name is LaDon Swann.
14 I'm the directory of the Mississippi-Alabama
15 Sea Grant Consortium, which represents
16 (inaudible).

17 DR. TRACIE SEMPLIER:
18 Good morning. I'm Tracie Sempier, and
19 I'm the Coastal Storms Outreach Coordinator
20 for the Mississippi-Alabama Sea Grant for
21 Mississippi, Alabama, and Northeastern
22 Louisiana.

23 MR. TOM PETERSON:

0023

1 Hi. I'm Tom Peterson. I represent The
2 Center for Climate Strategies. We've worked
3 with many states on policy development for
4 climate and energy related issues. I'm also
5 an adjunct professor at Johns Hopkins
6 University at their Global Security Center and
7 I teach U. S. climate change and energy
8 security at their grad school.

9 MR. PATRICK HOGAN:
10 I am Patrick Hogan with the Pew Center
11 for Global Climate Change. I work with
12 Heather and Judi. I focus primarily on state
13 and regional climate policies.

14 MR. EDDIE FISHER:
15 I'm Eddie Fisher. I'm with the -- I'm
16 director of Coastal Finance Policy for the
17 Texas General Land Office. I'm here today to
18 represent the Coastal States Organization
19 Climate Change Work Group, which I formerly
20 co-chaired and am a member and representative
21 of the Gulf of Mexico region.

22 MS. JANICE ADAIR:
23 I'm Janice Adair. I'm the special

0024

1 assistant for climate policy for Washington
2 state Department of Ecology and I'm here today
3 representing the Western Climate Initiative,
4 which I'll talk more about later. I chaired
5 that organization for the first year of that
6 organization and I used to be six feet tall.

7 DR. GEORGE CROZIER:
8 Good morning. I'm George Crozier. I'm
9 the director of Dauphin Island Sea Lab, which
10 is the state's academic marine laboratory,
11 ideally situated on a barrier island off the

12 coast of Alabama.
13 DR. TORBJORN TORNOVIST:
14 I'm Torbjorn Tornqvist, associate
15 professor of earth and environmental sciences
16 at Tulane University.
17 DR. DAVID BROWN:
18 Good morning. I'm David Brown. I'm a
19 professor at LSU and investigator with NOAA's
20 Southern Climate Impacts Planning Program.
21 DR. ROBERT TWILLEY:
22 I'm Robert Twilley. I'm a professor in
23 the department of oceanography and coastal

0025

1 sciences at LSU.
2 MR. VAL MARMILLION:
3 We're going to begin, and I would like
4 to just say to all of our panelists we have --
5 we need to get this before noon and so if you
6 could keep your remarks tight and allow for
7 some questions, we will try to keep this
8 moving. I'm going to turn the program over to
9 Dr. Robert Twilley, who's going to manage
10 the -- or moderate the first panel. Robert.

11 DR. ROBERT TWILLEY:
12 Okay. I notice we're down to 30
13 minutes, I guess, instead of about 35. And
14 knowing these three that I'm going to
15 introduce, that's going to be a real
16 challenge. So I will cut my remarks in half
17 in keeping with the spirit.
18 The other comment that I want to make
19 at the beginning is to pick up on a term that
20 Sidney used and I think that we all need to
21 focus on and that's the term vulnerable. And
22 when we think of vulnerability, and we know
23 this, and I just want to put it on the record

0026

1 and in the discussion, that when we think of
2 vulnerability, it's not only the physical
3 change when we talk about climate change and
4 sea level rise and the ecologic impacts, but
5 we have to keep that in the context both of
6 natural systems and the social systems; that
7 is, that degree of change relative to our
8 capacity to adapt.
9 And if, in fact, it is just purely
10 change and a degree that can be compensated by
11 adaptation, then we're not vulnerable. And so
12 vulnerability is a balance between the two.
13 And so what we're going to start out with on
14 our panel is talking about the degree of
15 change.
16 And I think what we're going to involve
17 later on in this discussion is what path we go
18 down. And I think quantitatively what we're

19 going to be required to do in this region --
20 and this region is highlighted as being one of
21 the most vulnerable and vulnerability, but I
22 would argue that we also have tremendous
23 resources to adapt.

0027

1 And so the other -- the last comment I
2 will make is that also what's unique -- that's
3 another term that Sidney used -- in our region
4 is that we have to deal with policy that's
5 very complicated, because we place in our
6 region such a national significance of many
7 other sources of CO2 has tremendous national
8 significance.

9 But as we deal with what policy is fair
10 from a region that serves the nation, we also
11 have to do that in the context of also
12 acknowledging that we have a problem we have
13 to deal with. And that by arguing or
14 discussing policy should not be done, I think,
15 in our region in the context of ignoring the
16 problem.

17 And so we have to find a way to deliver
18 the message of what's fair, but also our
19 potential contribution to the solution. And I
20 think our region -- and that's a big challenge
21 for our region, and I hope that that's
22 something we come out of today with some clear
23 examples on how to move forward.

0028

1 Our panelists -- this is Torbjorn
2 Tornqvist. He's the director of the National
3 Institute of Climate Change. He will start
4 with some comments. And then George Crozier
5 will talk about -- from the deltaic point of
6 view. And then George Crozier, who is quite
7 knowledgeable on barrier island, will talk
8 about -- director, again, of the Dauphin
9 Island Sea Lab -- will talk about the aspect
10 or the degree of sea level rise impacts. And
11 then David Brown, who is with the Southern
12 Climate Impact Planning Program at LSU, which
13 is a NOAA-funded program, is going to follow
14 with some comments related to adaptation.

15 So Torbjorn.

16 DR. TORBJORN TORNOVIST:

17 Thank you, Robert. I actually have a
18 couple of slides, so if we could get that
19 started. When we talk about climate change
20 and the Gulf Coast, we really talk to a very
21 large extent about sea level rise because that
22 is the 800-pound gorilla in our part of the
23 world.

0029

1 So I'm going to talk a little bit about

2 the current status of sea level science and
3 then basically introduce it initially by
4 looking at the big picture. So what we see
5 here is a grant that came out from the last
6 IPCC report in 2007 that shows the global
7 pattern of sea level change going back into
8 the 1800s. This is basically what we call the
9 instrumental record.

10 And you can see that there is a steady
11 rise that seems to accelerate when you
12 approach the present. At the very tail end of
13 this record, you can see that little solid
14 black line. That is what we call the
15 satellite era, where we have the highest
16 quality measurements, which is now just over
17 15 years long.

18 Now, this is still -- in the larger
19 perspective, this is a relatively short
20 record, and so the same question could arise
21 as you could raise, maybe look at temperature
22 ranges which look very similar. What does
23 this really mean in the longer term

0030

1 perspective? Are we looking at just some
2 natural fluctuation or is this really a
3 novice?

4 So if you look at this new panel in the
5 lower right-hand half of the slide, you can
6 see the same record we looked at here, which
7 is not only that little squiggly line right
8 here, we know based on geological data that it
9 was likely not very much sea level change
10 going back in time. And I will get back to
11 that issue later talking specifically about
12 the Gulf Coast.

13 And then here we see the projections
14 into the future, and there is always a fair
15 amount of uncertainty, but that doesn't take
16 away from that every prediction into the
17 future anticipates a further rise, and very
18 often expect an acceleration of the rise that
19 we see right now.

20 So to illustrate this a little bit
21 further on where we stand right now when it
22 comes to predicting things like sea level
23 change, I really want to call your attention

0031

1 to the lower half of this graph. What we see
2 here is a measured record going back into the
3 '70s. Those are the little dots that are
4 connected. You can see the red line that
5 shows -- that's the trend line through this
6 record. And the importance of this diagram is
7 that we are now at a point in time that we can
8 actually evaluate predictions that were made

9 by the IPCC, say, 20 years ago. That's why
10 this vertical line is here through 1990 when
11 the first IPCC report came out.

12 And the really importance here is that
13 all of these predictions -- naturally, you
14 have this cone of uncertainty. And you have
15 the sea level rise, you have a high, and it
16 doesn't appear -- and the lower end is right
17 here. And what we see right now is that the
18 observations are really tracking the high
19 range estimates. All right.

20 So over the past few decades we're
21 really sending out the worst case scenario,
22 and this is very much the reason why a lot of
23 scientists now believe that IPCC predictions

0032

1 may well be too conservative. And an
2 important reason for that is that the biggest
3 challenge in creating sea level change is to
4 understand the large ice sheets, because those
5 are going to be potentially really dangerous
6 contributors in terms of sea level rise.

7 And I will just illustrate that with
8 you that environment for us here in North
9 America is the biggest threat. The part of
10 the Antarctic ice sheet that we're mainly
11 concerned with is what's called west Antarctic
12 ice sheet, if you hear all this, several
13 meters of sea level rise.

14 Something some of you may have noticed
15 a number of years ago that got a lot of
16 attention was the very abrupt break-up off of
17 what's called the Larsen B Ice Shelf, which is
18 located right here on the Antarctic Peninsula
19 that literally exploded over, you know, a
20 matter of days. These are actually things
21 that happened both in Antarctica and in
22 Greenland that potentially might do away with
23 climate change.

0033

1 And these are the things that are very
2 difficult to model, but could potentially
3 contribute to very large amounts of sea level
4 rise. So I'm going to finish off by going
5 back here to the Gulf Coast and talk some
6 specifics of what we can expect around here.

7 What you see here are three graphs. I
8 want to start with the lower panel, which are
9 two typewritten records. These are direct
10 things of sea level change covered in much of
11 the last century. This is Pensacola, Florida,
12 which is obviously very close to here. And as
13 it happens, the long-term trend here is a rate
14 of just over two millimeters per year. That's
15 the long-term trend of the rate of sea level

16 rise over most of the last century.
17 This is actually one of the lowest
18 rates along the Gulf Coast. To contrast that,
19 we have the type, age Grand Isle, Louisiana,
20 which is right in the Gulf. The subsidence
21 that leads to rates that are much higher,
22 close to a centimeter per year on the higher
23 elevation along the Gulf Coast.

0034

1 Now, the importance here is that,
2 again, ask the question: What do these
3 numbers actually mean within the longer term
4 of natural context. And that is where this
5 record comes in. This is a reconstruction of
6 the rate of sea level rise on the Gulf Coast
7 over the 1000 year interval from about 660 AD.
8 So this is the pre-industrial period. And you
9 can see that that long-term is about half a
10 millimeter per year.

11 So the bottom line is what we see here
12 is not unlike what we see in most of the
13 world, that the rate of sea level rise over
14 the past century is at least four times higher
15 than it was naturally prior to that.

16 So just to kind of wrap this up, we
17 know from geological records that focusing on
18 sea level rise has been fairly close to
19 stationary during the last few thousand years
20 prior to the industrial revolution. And then
21 somewhere in the late 19th or early 20th
22 Century, we got this celebration that started
23 kicking in. These are the rates we see over

0035

1 the last few decades and we expect them to
2 further accelerate in the future.

3 As I said, along the Gulf Coast, these
4 rates over the last century are about four to
5 five times higher than they were naturally.
6 The acceleration is likely to continue,
7 although the amount remains uncertain. In
8 fact, again, that has a lot to do with that we
9 don't really fully understand the behavior of
10 (inaudible). That is the main challenge
11 within the scientific community right now, to
12 further narrow down these projections.

13 I'd like to leave it here.

14 DR. ROBERT TWILLEY:

15 The way we'll do this is if there's a
16 quick question, we'll follow up with that, and
17 then I will just hold my general panel
18 discussion after the three speakers.

19 Is there anyone around the table -- a
20 quick question by Jeff.

21 MR. JEFF WILLIAMS:

22 The difference, that four to five times

23 more sea level rise here, is that attributable

0036

1 to subsidence or is there --

2 DR. TORBJORN TORNOVIST:

3 It's absolutely. The nature of the
4 data is that the subsidence has been ruled
5 out. So it's entirely because of actual
6 rising sea level, so -- and an important
7 component is -- I didn't have time to mention,
8 but is global thermal exchange, basically a
9 heating of the shallow ocean that these slight
10 expansions, which is very measurable at the
11 surface.

12 DR. ROBERT TWILLEY:

13 I will ask. Is there another question?
14 And just in context, if you do go back over,
15 say, interglacial periods, even though you
16 cite a half millimeter is pre-industrial,
17 certainly before there was human, you know,
18 influx in our coastal region, there was
19 higher lines that these references could adapt
20 to.

21 DR. TORBJORN TORNOVIST:

22 That's -- oh, yeah, well, there are --
23 obviously, if you go further back in geologic

0037

1 history, say 20,000 years ago sea level was on
2 the order of 100 meters lower than it is
3 today. So there's obviously been areas with
4 extreme rates of sea level rise. But these
5 are all -- and that's the key here. These are
6 processes that are driven basically mainly by
7 what we call orbital forcing, which is the way
8 the earth orbits the sun. And those are
9 processes that operate over much longer time
10 spans. Those are not things that play any
11 significant role, say, within the last few
12 centuries.

13 DR. ROBERT TWILLEY:

14 But the natural system has had a long
15 timeframe at which it has -- (inaudible)
16 adapted. One of the points I wanted to make
17 is that before the human impact on our region
18 is that we had sea level rise, we had
19 hurricanes, and we had subsidence. There were
20 processes that allowed the wetlands and
21 barrier islands and sand supplies -- there
22 were things that, you know, in which the
23 coastal landscape had capacity for adaptation.

0038

1 So the real difference is the
2 industrial -- you know, now we're facing human
3 and the natural processes.

4 DR. TORBJORN TORNOVIST:

5 That's right.

6 DR. ROBERT TWILLEY:

7 Any other questions?

8 MR. TOM PETERSON:

9 A comment that I think that it is very
10 helpful to try to bring out those very points
11 in terms of communication. I can well
12 remember in North Carolina in meeting with our
13 group there, people talk about a mastodons
14 running around out where the Outer Banks are
15 and what's the problem. It was a time
16 element, where realistically we're looking at
17 both a magnitude and a rate of change that is
18 vastly in excess of anything previously
19 encountered is a really critical point to be
20 responsive to those kind of questions.

21 I think it's also helpful to go
22 backwards in time, because also what we hear a
23 lot of is, well, gosh, this truly is a short

0039

1 snapshot. If you look through geologic
2 history, this is a very different story. So I
3 would like to encourage you to stretch the
4 time out and focus on communications also on
5 this rate issue as well.

6 DR. ROBERT TWILLEY:

7 This is the first presentation I've
8 seen of matching the observations with the
9 IPCC models, and that is very powerful.

10 DR. TORBJORN TORNOVIST:

11 I think it's possibly the most
12 compelling piece of evidence I've seen there
13 is. It becomes -- you know, as long as you
14 are simply using models projecting into the
15 future, even if, you know, you test them by
16 looking into the past, you know, people -- the
17 ultimate skeptic will say, well, you know,
18 just tweak your model until it fits the data.
19 But, obviously, in 1990, nobody could know
20 what the temperature and sea level was going
21 to do in the next 20 years.

22 So you made predictions. And most of
23 these people within their own lifetimes, their

0040

1 own predictions were going to be tested. And
2 we will see a lot more of that down the line,
3 because obviously these records will no longer
4 be --

5 DR. ROBERT TWILLEY:

6 We keep telling point -- the other
7 point is that, you know, we are running a big
8 experiment here, because one thing to keep in
9 mind is even if you go back 160,000 years,
10 we've never seen CO2 concentrations that we're
11 seeing today. And it is an experiment and,
12 therefore, we really don't know all the, you

13 know, the realities of the predictions. And
14 so having so much empirical evidence with
15 modeling is going to be, just from a
16 scientist's point of view, is really critical
17 to build some time (inaudible).

18 DR. ROBERT TWILLEY:

19 George.

20 DR. GEORGE CROZIER:

21 So much that I'd like to say and so
22 little time. One of the things that I think
23 is of interest in what Torb just said is true.

0041

1 The Pensacola tide gauges are used to cause --
2 the Mobile area is really dominated by the
3 river. In other words, the tide gauges don't
4 give us as much information about the actual
5 sea level rise and tide.

6 The mobile River is the third or fourth
7 largest in the North American continent.
8 People don't realize that. But other than the
9 Mississippi, which shouldn't be counted, it's
10 the largest going into the Gulf of Mexico. So
11 it's not to be ignored.

12 The interesting thing, as we talked
13 about this, is that the Mississippi and
14 Alabama coast, there are barrier islands, and
15 people have used them. And Mississippi was
16 smart enough that they didn't inhabit their
17 barrier islands. Unfortunately, they are
18 substantial in ebb tidal delta off of Mobile
19 Bay has allowed probably four or five
20 generations of inhabitants on the barrier
21 island, on Dauphin Island, so I know a great
22 deal about that.

23 But what's interesting is that -- I'd

0042

1 like to take this one further stage of
2 concern, and that's really the storm
3 incidence. Because we all know now that a lot
4 of our planning and our willingness to inhabit
5 as humans on the coast was based on the 50 or
6 60 years or so of the 20th Century when there
7 was relatively low storm incidence.

8 And, again, one of the more recent
9 announcements, and I will just take it that
10 way at this point has been projections that
11 they have confidence on the Atlantic in terms
12 of storm incidence. What was intriguing about
13 it is that the new models -- and this is as of
14 January at Princeton, the new models don't
15 really show an increase in number of storms.
16 It's relatively stable.

17 On the other hand, it's fairly
18 significant in a lot of the results that the
19 intensity will increase in the storms we have.

20 It's not a huge percentage, but it is enough
21 when we think about the kind of devastation
22 that we have in the aftermath of intense
23 storms. This is something that we have to be

0043

1 concerned about.

2 And I have seen this on the Alabama
3 coast in my lifetime, which although some
4 people say is geological, it's not. The
5 islands particularly are close to the coast in
6 Alabama. This is one of the concerns, and,
7 Robert, I talked with Ken about this
8 yesterday, and there are islands that existed
9 in the Mississippi Sound, on the northern side
10 of Mississippi Sound, which have clearly
11 disappeared in the 30 or 40 years that I have
12 been here.

13 And as a result, we're looking at a
14 substantial marsh exposure and even grass bed
15 exposure that at the rate it's going, we'll
16 lose these resources and what they mean to the
17 national system.

18 The west end of Dauphin Island, which
19 is not protected by the ebb tidal delta is
20 perhaps the poster child of bad barrier island
21 mismanagement. We have seen since -- in the
22 last decade, in the years of Ivan and Katrina
23 and Rita, the west end of Dauphin Island,

0044

1 which is virtually at sea level, has been
2 devastated.

3 And it's interesting because the system
4 left alone, as Robert said, the natural system
5 is pretty doggone resilient. I think part of
6 our problem is that we have fixed the
7 coastline. We have fixed it in place with
8 infrastructure -- roads, pipelines, oil and
9 gas structures. And natural gas is very
10 significant in Alabama. And I told Robert I
11 thought one of the vulnerabilities for us was
12 in fact that the point that we are -- maybe a
13 central point in the infrastructure of natural
14 gas distribution on the Gulf Coast.

15 I think this is something that is
16 indeed vulnerable. I think we are less
17 resilient than we should be. I think that's
18 one of the reasons that there's a lot of
19 interest in the Sea Grant which LaDon said is
20 heading in other areas and with AEC in trying
21 to define the resilience and find the ways
22 that we can adapt.

23 Because we're not -- we're not really

0045

1 very good at it, and particularly when you fix
2 structures and the losses of the bridges in

3 Mississippi and Alabama over the last storm
4 events have clearly shown what we are faced
5 with. And so they are raising the bridges
6 going into New Orleans. They're considerably
7 higher than they used to be. The bridge to
8 Dauphin Island. The bridge between Biloxi and
9 Ocean Springs. Everything is trying to
10 respond to this, but we are still trying to
11 stay right there. We are just sort of raising
12 everything.

13 And I think that part of our problem --
14 and I was interested in your call -- I talked
15 to Jeff before the meeting. Part of the
16 problem for us, and I would say this applies
17 to Texas and all four of the states, frankly,
18 Texas, Louisiana, Mississippi, and Alabama.

19 We are at a generational change. Most
20 of the people that control management and
21 let's just say the decision-makers and the
22 policymakers in these four states,
23 particularly with the ones I'm familiar with,

0046

1 Mississippi and Alabama particularly, they
2 grew up being able to fish and catch as much
3 as fish they wanted, shoot as many ducks as
4 they wanted, go to the beach as often as they
5 wanted and find the beach there and the dunes
6 there. And it's very, very difficult for them
7 to accept this change of management that we
8 now have to allocate these resources. They
9 can't have everything that they want all the
10 time.

11 And it may take a couple of generations
12 for that resiliency unless we can find a way
13 to educate them to respond to what we all
14 around the table obviously believe is a very
15 really threat. And we are indeed highly
16 vulnerable even where we have these barrier
17 beaches.

18 In the 30 years, I have seen these
19 barrier beaches diminished substantially, so
20 it's not something that can be avoided, and I
21 think that our problem has been the
22 unwillingness to be flexible.

23 And I have to agree with Robert. I

0047

1 think when this first came up decades ago, I
2 think I thought we would adapt. You know,
3 there would be time for plants to migrate.
4 You know, temperature change to deal with it.
5 But the combination now of the sea level rise,
6 which is certainly a dangerous issue for us,
7 and couple that with the storm exposure and
8 increased storm incidence. And now to think
9 that there's going to be an increase of the

10 intensity of the larger storms, which had not
11 been modeled up until very recently, is a
12 little overwhelming.

13 But I think this is something that
14 we're going to have to -- it is an educational
15 issue. It's something we're going to have to
16 deal with.

17 DR. ROBERT TWILLEY:

18 All right. Thanks, George.

19 And education is one of the real
20 hallmarks, and so you know it's without a
21 doubt the most (inaudible) for the Gulf Coast
22 region as far as resources, and I would put it
23 up there with about any of the other coastal

0048

1 laboratories as far as education.

2 MR. VAL MARMILLION:

3 Talking about education either last
4 night or the night before, you have stories
5 about the cooling of the Gulf and the less
6 vulnerability of the hurricane season, so we
7 deal with information like this and you get
8 national stories that roll across that you
9 have to deal with with the public. Because I
10 think public will is tied to political will,
11 and you hope in a discussion like this, you
12 tie it to scientific advice.

13 But one of our real challenges at the
14 time is that this project, we're trying to the
15 build the elastic between the public and the
16 knowledge of the scientific information that
17 we have. But I can tell you, I have seen that
18 story and they say, oh, well, you know, this
19 must be bogus because, you know, this sea
20 level here or this sea is cooling.

21 DR. GEORGE CROZIER:

22 Well, I think the problem -- and I
23 wasn't going to drag it down to this level

0049

1 originally, but you opened the door. The
2 problem that I find in dealing with the
3 community -- and I do most of the Rotary Clubs
4 and Kiwanis clubs and groups around. The vast
5 majority of the people in our part of the
6 world think Glenn Beck is God. They listen to
7 Fox TV. And even more on course, they listen
8 to Rick and Bubba in the morning.

9 I had the misfortune of listening to
10 those -- it was the only station I could get
11 going to Montgomery a couple of weeks ago.
12 But that is the problem.

13 And the difficulties that we're facing
14 is that those that are skeptical are very good
15 at finding the weaknesses in a huge argument.
16 And as I told some people this morning, I

17 think what people don't realize is that
18 scientists are human. They make mistakes, and
19 these mistakes are ferreted out and hung out
20 as the example of what's wrong with the whole
21 argument, which of course is not the case at
22 all.

23 And I don't know -- this is something

0050

1 that I think presents a real challenge to us.

2 MR. JEFF WILLIAMS:

3 One of the things that struck me about
4 your comments was this adaptation that -- that
5 we do, but it's as if it's in the rearview
6 mirror. We adapt based upon our world view.
7 This is the way it's always been, but not
8 really, perhaps, taking into account how the
9 environment is going to change.

10 The barrier islands may not be there in
11 the same way that they are today. So I think
12 it's really critical that we kind of take a
13 look at what is changing and then factor that
14 into earth adaptation policies. I don't know
15 if the bridges out of New Orleans are high
16 enough.

17 DR. GEORGE CROZIER:

18 Well, I think one of the things that
19 disturbs me and Robert here -- we were in New
20 Orleans a few months ago. I think part of the
21 problem that I see, and it's because of my own
22 biases is that I see the costs of our approach
23 to adaptation so far as to build it bigger and

0051

1 higher and better, which costs more. And if
2 it costs more, I think it's adding to a
3 separation of an awful lot of people from the
4 coast itself. Because a majority are not
5 going to be able to afford to go to the beach
6 or rent a condo or whatever.

7 And I think this is one of the things
8 that really bothers me on a very large scale.
9 This is not going -- this really isn't good
10 for the country. And I'm pretty much an
11 advocate of the public trust doctrine. I
12 think the ocean and the coast is one of the
13 great national treasures and it belongs to
14 everybody.

15 And it bothers me that our solution so
16 far -- well, even in Mississippi, how many
17 people can't afford to come back because the
18 zoning ordinances have changed and the
19 floodplains have raised so much. And, moving
20 forward, people who lived in small
21 neighborhoods and small houses are left behind
22 in this process.

23 So I don't mean to go into sociology of

0052

1 it, but it is a factor that I think we have to
2 deal with. But part of our problem, I think,
3 is that we've had this about 6,000 years of
4 relative stability on the coast and let's get
5 used to that. And it's very difficult for
6 people to accept that it's a brave or not so
7 brave new world along the coast.

8 MS. TINA SHUMATE:

9 I just wanted to say one thing. The
10 Corps is here -- Tom Smith and Bob Terese are
11 here to hear the hearing today. The delta
12 missed the (inaudible). We just missed it
13 because (inaudible) program. And I know a few
14 years ago we shadowed them with Dr. Bill
15 Walker, the executive director for Mississippi
16 DMR.

17 And people actually thought we were
18 trying to take their property concerning land
19 acquisition. Well, the funding has not come
20 down at this point. We were waiting on that.
21 But you would have thought that we were the
22 big, bad government coming to (inaudible).

23 Now we have a stack of about three

0053

1 inches with people who got flooded so many
2 times, and that may be the type of education
3 that we have to get over and actually feel the
4 pain.

5 And so now we have quite a few --
6 there's probably 1000 or more that want to
7 (inaudible). So the education there is
8 just -- it's just a hard issue that you don't
9 have to actually touch.

10 DR. GEORGE CROZIER:

11 One of the problems that we have again
12 is socioeconomic in our barrier island
13 systems. And this actually includes the
14 barrier beaches to the east involving the town
15 of Gulf Shores and Orange Beach are barrier
16 beaches. They're not really islands. They're
17 exposed.

18 The difficulty that I sense in all this
19 is often -- there aren't that many people that
20 live in these places. They are vacation
21 homes. They don't sense the pain that
22 Mississippi has sensed. Now they feel it in
23 their pocketbook because this house on the

0054

1 west end of the island is not there anymore.
2 It's in the water. It's threatened or it's
3 endangered and they're not going to put
4 another dune up. Whatever. But it's a small
5 number. And I don't think that this has
6 really -- it hasn't engaged a resident

7 population, and it makes it very difficult.

8 And I have had these arguments with the
9 town of Dauphin Island, which only sees the
10 houses on the west end as revenue generators.
11 And why wouldn't the town ask for the roads to
12 be rebuilt and the power restored and the
13 water and sewer restored. They're not paying
14 for it. The taxpayer is. And, in fact, this
15 has been one of my arguments for some time,
16 that our problems are more complicated than
17 people realize.

18 DR. ROBERT TWILLEY:

19 We're getting right down to the guts
20 pretty quick. But let's move on to David and
21 a few comments from David Brown and we'll wrap
22 up.

23 MR. DAVID BROWN:

0055

1 And I will also cut my comments in the
2 spirit of keeping things moving, but I did
3 want to start with a quote, which I think
4 nicely synthesizes some of the things that
5 we've been talking about. This is from the
6 2009 United States Global Change Research
7 Program Report on Climate Change Events. An
8 increase in average sea level of two feet or
9 more and the likelihood of increased hurricane
10 intensity and associated storm surge are
11 likely to be one of the most costly
12 consequences in climate change in the southern
13 United States.

14 As sea level rises, coastal shorelines
15 will retreat, wetlands will be inundated and
16 eroded away. Low lying areas, including some
17 communities, will be inundated more
18 frequently. Some permanently. Current
19 buildings and infrastructure were not designed
20 to withstand the intensity of increased storm
21 surge, which would cause catastrophic
22 injuries.

23 Sea level rise will also take sea

0056

1 grasses, coral reefs, and other important
2 habitats. It would fragment barrier islands
3 and place into jeopardy existing homes,
4 businesses, infrastructure -- including roads,
5 ports, water systems. Portions of major
6 cities would be subject to inundation by ocean
7 water during storm surges or even during
8 regular high tides. And, in short, rapid
9 acceleration rate of increased sea level rise
10 threaten a large portion of the southeast
11 coastal sediment.

12 I think given that rather dire
13 prognostication, it's fair to say that

14 adaptation efforts in this region as well
15 elsewhere will require truly collaborative
16 efforts among the research and the state
17 coastal communities. And Gary mentioned in
18 his opening remarks that the public is
19 depending on the science community to take a
20 leadership role in this fashion.

21 I think to do that it's incumbent upon
22 those of us in the science community to move
23 forward in a couple of various areas that I

0057

1 would broadly call climate surfaces. For
2 example, we must make improvements on how we
3 measure, archive, and deliver climate data and
4 climate information, particularly improving
5 the accessibility of the information to really
6 an infinite range of user groups who have a
7 very high level of expertise in interpreting
8 climate information.

9 We must also help decision-makers build
10 new tools to use in the operational context.
11 That will require new research endeavors,
12 (inaudible) attempts, experimental products,
13 and so forth.

14 And perhaps, most importantly, the
15 social and climate services really requires an
16 interactive and early process of continued
17 learning between the information provided us
18 and those who are utilizing the information.

19 Fortunately, we do have some of the
20 infrastructure already in place. They will
21 require services here in the Gulf Coast. NOAA
22 Sea Grant is here today. We'll be hearing
23 from them a little later. They're one of the

0058

1 best in working with local communities along
2 with the university extension agent, state
3 climatologists, others that deal with global
4 issues.

5 But we also have regional resources.
6 NOAA funds six regional climate centers around
7 the country, which deliver ongoing and
8 experimental climate products to a range of
9 users. NOAA also sponsors nine regional
10 integrated science and assessment programs,
11 which are really test beds for new products,
12 new programs, to benefit decision-makers and
13 policy planners who deal with climate
14 sensitive issues.

15 Recent projects included topics such as
16 coastal restoration, water resources,
17 fisheries, and the list goes on. And then on
18 top of this, we have the newly announced
19 umbrella of the National Climate Service --
20 recently announced within the last few

21 weeks -- which will ideally synthesize and
22 facilitate increased interaction involving, at
23 least as far as NOAA is concerned, among its

0059

1 disparate climate services entities.

2 At LSU we have been trying to move
3 forward with climate services in a bit of an
4 innovative fashion. In the beginning, one of
5 the investigators with the newest of those
6 recent programs is called the Southern Climate
7 Impact Planning Program, SCIPP. And this is
8 novel in the sense that it also brings
9 together both the state planning office and
10 NOAA's Southern Regional Climate Center, both
11 which are also based at LSU.

12 This is the first time NOAA has linked
13 several different climate surface entities in
14 a formal way with the idea of making a more
15 seamless continuum between the data set of
16 creation and archiving to research to out
17 research and engage the decision-makers.

18 And I think that this new framework is
19 going to be the strange new prototype for the
20 types of -- the kind of (inaudible) that the
21 climate services community play in adaptation
22 to the sea level rise is really a brain
23 (inaudible). And I'd be happy to talk more

0060

1 offline about some of the work that we're
2 doing at LSU, but I'll just leave it at that.

3 DR. ROBERT TWILLEY:

4 Any questions? Comments?

5 MS. WOOD:

6 I do have a question just of clarity.
7 All these centers that NOAA has and the work
8 that you're doing at LSU, how is that
9 information being disseminated to
10 decision-makers and to communities?

11 DR. DAVID BROWN:

12 Exactly. Well, naturally, that's the
13 crux of the issue. The mission behind the
14 recent program is really sort of the
15 philosophy we have adopted is to engage with
16 decision-makers, broadly defined, to identify
17 their needs and then just to go back to the
18 research community and work on new research,
19 new products that can then be transitioned
20 into that decision-maker's operational
21 capacity. That's sort of the framework we
22 operate in.

23 So, for example, some of our work right

0061

1 now, we are linked with some of the drought
2 folks in Texas, in Austin, and Oklahoma City
3 to develop a new drought monitoring tool. For

4 example, that they can use on a day-to-day
5 basis.

6 We are developing a storm surge
7 database, which will be delivered to a variety
8 of coastal folks across Texas, Louisiana,
9 Mississippi, Alabama, all the way to Florida.
10 We've also done some work actually funded by
11 Sea Grant to talk with information provided to
12 Louisiana about how -- for example, hurricane
13 information. When a hurricane is approaching,
14 how that information is delivered to the
15 public and how the public responds and trying
16 to improve how to get that information.

17 So we have some very specific pathways
18 for the delivery of climate services. As I
19 say, I think it will be a growing prototype
20 perhaps to do that.

21 DR. ROBERT TWILLEY:

22 Follow up? Do you want to follow up?

23 MS. WOOD:

0062

1 Well, the only other thing I was going
2 to say is through listening to all three of
3 these and then what you had to say maybe about
4 the hard lesson is that -- and maybe we're
5 going to hear about this later in the day.
6 But it seems to me that one of the challenges
7 is to deliver a resource to people, to make
8 the changes they need to make in a timely
9 manner in terms of making those changes.

10 For instance, people may be most ready
11 to make a change after they've had a hard
12 lesson of a storm or something like that. But
13 our experience has been that the resources are
14 slow to move and they don't come out and
15 coordinate fast enough.

16 So after Katrina people might have
17 gotten their insurance money months before
18 resources became available to elevate their
19 homes. You know, so there's kind of a
20 disconnect. They might have already gone on
21 and restored their home and moved back in
22 before the resources became available to
23 elevate them is more problematic.

0063

1 So we're kind of working on that timing
2 of making resources and information available,
3 it seems to me, to be a part of this adaption.

4 DR. ROBERT TWILLEY:

5 I gave -- go ahead, David.

6 DR. DAVID BROWN:

7 I was just going to make a brief
8 comment that one of the things that we find in
9 the science community is that people will come
10 to us and say, I'm interested in climate

11 information, but I don't know how. I know
12 it's important, but I don't know how it's
13 important.

14 And so I think this idea of integrated
15 process of feedback really is what you're
16 saying. User group and the science is at the
17 crux. There's education, you know, creating
18 awareness of the kinds of information that's
19 out there. You folks may not (inaudible).

20 And then if there's something missing,
21 there's a gap here in the tools or in the
22 information that some particular user group is
23 going to need, then we can work to fill that

0064

1 gap.

2 DR. ROBERT TWILLEY:

3 And I really think that one of the
4 things in our region, because of that, we have
5 to find these innovative agency, university,
6 private partnerships that provide prescription
7 and don't just do diagnostics.

8 And the Department of Energy, I think,
9 is funding the Natural Institute of Climate
10 Change Research at Tulane. That's another
11 example. I mean, these are the -- you know,
12 working with the agencies, the extension
13 service that was mentioned, there's a history
14 of this social contract that universities have
15 had that we've got to be much more aggressive,
16 and particularly in our region.

17 And so I just -- you know, I think
18 that's stating the obvious, but I know it's
19 something that we focus on in the restoration
20 world, and now we need to bring it to the
21 climate adaptation world. We need to talk
22 about these things, but it's really something
23 that's critical.

0065

1 In the short timeframe -- if you go
2 back in history, and I can give you a lecture
3 on this and that. And in class last week, the
4 parallel to the Everglades in south Florida
5 and south Louisiana following the 1928 to 1938
6 catastrophe and how the system reorganized
7 itself, so it was so vulnerable. It was right
8 after those major events. That short
9 reorganization phase right there is what sets
10 your trajectory for decades.

11 And so it is the most critical point of
12 how any departure lays out how well you are
13 adapted right during that frame time. So your
14 comment fits right into that point.

15 MS. TINA SHUMATE:

16 I just want to make a point that you
17 said. A partnership -- it's totally about

18 partnerships. Because since the storm, we had
19 to learn the hard way instead of this is my
20 material, I'm not going to share it with
21 somebody is my (inaudible). But everybody
22 shared everything.

23 Now, Sea Grant (inaudible) working with

0066

1 the government in reliance and resilience
2 group that they're doing. But it's about pre
3 and post how to warn the community on what you
4 did before and what do you do afterwards. Who
5 do you contact. How you find this
6 information, the materials and things.

7 And so we have come a long way with
8 Katrina being a hard lesson, but still Sea
9 Grant has played a major part. If you all get
10 to throw in some of those things we're working
11 on.

12 MR. LaDON SWANN:

13 Just a comment. We'll talk about four
14 different examples of things that interface
15 between the academic community and the user
16 community. And one of the things that we're
17 looking at right now is the whole concept of
18 states challenges of moving somewhere from
19 pre-contemplation, contemplation, preparation,
20 action, and maintenance. And we have -- we
21 have a thousand communities at different
22 levels from each one of those. How do you
23 take that great research, make it relevant to

0067

1 the local communities and then help them move
2 from one state to another and get them to do
3 that in preparation.

4 That pre-contemplation, a lot of people
5 are at that stage right now, just at the
6 beginning. So there are the need for
7 programs, education programs, for communities
8 underway right now that will do just what you
9 are talking about.

10 DR. ROBERT TWILLEY:

11 So, Val, with those comments, I think
12 we will wrap up. Six minutes over.

13 MR. VAL MARMILLION:

14 Thank you very much. And thanks to the
15 panel. We're going to move directly into our
16 second panel, which is Regional Approaches to
17 Climate Issues. And we were hopeful that we
18 could bring several folks to talk about how
19 they approach coming up with a climate
20 position as a region. A lot of these happen
21 outside the realm of legislation, and we have
22 three fine presenters: Janice Adair, the
23 Department of Ecology, State of Washington.

0068

1 Eddie Fisher form the Texas General Land
2 Office. And Pat Hogan, who will do cleanup
3 batting, Pew Center for Global Climate Change.

4 Janice, we want to thank you for coming
5 all this way to be with us.

6 MS. JANICE ADAIR:

7 I have brought in a visual aid. This
8 is a map of the Western Climate Initiative
9 because I thought it would be useful for folks
10 to see what this organization looks like. And
11 I don't know how familiar you all are with the
12 west.

13 What we have, the partners here in
14 blue: British Columbia, Oregon, Washington,
15 California, Arizona, New Mexico, and Manitoba
16 Quebec, and Ontario. So we're not even really
17 so west anymore.

18 As observers in green, we have the
19 states of Alaska, Idaho, Nevada -- my vision
20 isn't very good here -- Colorado, Kansas, and
21 Wyoming, and the six Mexican border states,
22 and the province of Nova Scotia, which has
23 been highlighted up there, and the province of

0069

1 Saskatchewan.

2 So we're a fairly large group. Started
3 out between the five western states. And
4 really what got people talking about coming
5 together as a region was around the impacts
6 from climate changes that we perceived. Most
7 are around water. Here it might be storms.
8 In the west, it is water. We either have
9 drought -- we either have not enough or we
10 have too much, depending on the time of year
11 and depending on where you are.

12 And the other issue that we have is our
13 western water laws are all based on first in
14 line, first in time. So those folks that were
15 first there to use the water got the first
16 rights to use the water. And people in
17 communities that came after are junior water
18 right holders.

19 Since water rights are all based on
20 what was and what is no longer what is, we
21 are having tremendous water issues in the
22 west. And even though we tend to be seen as
23 environmentally conscious, I've been

0070

1 interested in just the conversation around how
2 do you get people to act. People are not
3 willing to take on this issue because it is so
4 politically charged.

5 And even though they are -- they can
6 actually see the impacts, we have communities
7 who are junior water right holders -- they

8 have been holding the water rights since the
9 '30s -- they are being cut off every year
10 because there's not enough water, but there
11 are still this sort of incapacity to really
12 take the actions that are necessary.

13 But that aside, so the Western Climate
14 Initiative came together. You can see how
15 broad our geographical distribution is, but
16 what you may not be able to tell is how
17 different we really are, even as states and
18 provinces.

19 There is a tendency, I think, to think
20 that the west is sort of homogeneous, but
21 we're not. Washington, Oregon, British
22 Columbia -- we rely largely on hydropower for
23 our electricity, so we're fairly a low carbon

0071

1 footprint to begin with. But we also have
2 Montana and Utah who are big coal states.

3 New Mexico and Arizona have a lot of
4 oil or gas. And Quebec, Ontario are also
5 hydro. Manitoba is just little tiny and
6 really doesn't have a big carbon footprint at
7 all. They are very sparsely populated given
8 their land mass.

9 But what's been interesting in this
10 processes is the coming together is really the
11 process for reaching agreement. In large
12 part, we were driven by the fact that no one
13 was prepared to go back to their governors and
14 say we couldn't do this. We were
15 unsuccessful.

16 So taking failure off the table is a
17 huge motivator. We were able to -- what we
18 did was design a regional cap and trade
19 program. It is economy-wide. It covers about
20 90 percent of the emissions in our region.

21 For most of the states, the problem is
22 that transportation is our number one source
23 of greenhouse gas emissions. So we had to

0072

1 really deal with some difficult issues around
2 not just the type of car we drive and the type
3 of fuel that use, but the demand side, which
4 tend to be into land use planning. And I'm
5 sure it can't be too different here in the
6 south.

7 That's probably all spelled with
8 four-letter words. Very, very controversial
9 when you start telling local communities or
10 giving local communities advice on how to plan
11 out their -- those communities so the demand
12 for transportation is less.

13 We also have issues in the west. Two
14 of our states, at least, fuel taxes can only

15 be used for highways. They cannot be used for
16 transit. So that puts another issue in how
17 you pay for alternatives to single vehicle --
18 single passenger vehicles.

19 We also deal with what we call
20 complementary policies, or those policies that
21 would not replace a cap and trade program, but
22 it would work in concert with a cap and trade
23 program to not only reduce the cost, but to

0073

1 increase its effectiveness.

2 We have all adopted or considering
3 adopting the California tailpipe standards for
4 vehicles. We are working together on a low
5 carbon fuel standard. I think all of us have
6 a renewable portfolio standard, so
7 requirements for utilities to have a certain
8 percentage of renewable energy in their
9 portfolio.

10 And just to make sure everybody
11 understands that hydro power is not considered
12 a renewable fuel in that context because we
13 have so much of it. The opportunities to grow
14 hydropower are fairly limited, again, going
15 back to the issue around water. So that is
16 somewhat controversial in Washington, I can
17 assure you.

18 We are working on some sharing issues
19 around speed limits, speed limiters for
20 heavy-duty trucks that travel between British
21 Columbia and California along I-5, Interstate
22 5. It goes up and down our coast. So a
23 variety of policies like that to try to get

0074

1 our arms around greenhouse gas emissions in
2 more totality.

3 And we're just starting to work
4 somewhat on adaptation issues. We do share
5 some issues, as I already mentioned, around
6 water, but there's going to be some issues
7 like sea level. We do have concerns around
8 sea level rise and other coastal impacts in
9 Washington, Oregon, California, and British
10 Columbia. Not so much in Utah and Montana.

11 But we do share a river. The Columbia
12 River does go between Washington, Oregon, a
13 little bit into Idaho, and that is where most
14 of the dams are that provide electricity for
15 that part of the country. Bonneville Power
16 Administration runs those dams as do some of
17 the local public utilities. And so that is a
18 huge issue for us.

19 And we're taking out dams and other
20 rivers because of salmon concerns and trying
21 to restore salmon runs. And so trying to find

22 that balance between the natural environmental
23 issues and energy production is a constant

0075

1 balance that all of us are facing.

2 The most important thing, I think, in
3 coming together and the thing that I think any
4 group of states can benefit from such an
5 effort is just learning about one another. We
6 have learned -- we have learned so much about
7 even our neighboring states. Now, you would
8 think that Oregon and Washington would
9 understand one another fairly well, that
10 Washington and Oregon and California would
11 understand one another fairly well.

12 But, in fact, we have had to work
13 together at a level that just exceeds kind of
14 the superficial understanding that we might
15 have had before. We've had to have honest
16 conversations about the politics in our states
17 because what's really truly possible to do.
18 And how can we find common ground
19 understanding that what's possible in one
20 state just is not going to be possible in
21 another state and still have a functional,
22 regional approach to the issue.

23 We compete with one another, and that's

0076

1 been another issue that we've had to deal
2 with. We have companies that -- in
3 Washington -- that have subsidiaries in
4 Quebec. In fact, Quebec is our largest
5 competitor, which is pretty interesting. It's
6 something that -- who knew. But that's part
7 of what we learn in this process, and how our
8 different approaches to policies will impact
9 or not that competitive position that our
10 companies have.

11 Of course, here in the south, we have a
12 lot of competitors. You all have a lot of
13 competitors from companies that are in the
14 northwest, and we're very aware of some of the
15 policies that exist down here around energy
16 use and tax breaks for energy use that we
17 don't have there. And so we have to look at
18 some of the issues around the country when we
19 look at limiting carbon emissions in our area.

20 What does that mean for companies that
21 have subsidiaries outside of the northwest who
22 could pretty easily switch production to the
23 southeast, and what does that mean for us.

0077

1 We have been able as a region to have a
2 fairly large voice in Washington, D. C.,
3 because we do come together as a region. And
4 I don't think it's only because California is

5 part of the Western Climate Initiative,
6 although it certainly hasn't hurt -- well,
7 sometimes it has, but that's a whole other
8 story.

9 But it really has been beneficial for
10 us to go back to Washington, D. C., to present
11 positions as the Western Climate Initiative
12 representing these states. We are about
13 20 percent of the U. S. economy, and the -- a
14 lot of what was in the Waxman-Markey bill was
15 the things that have come out of the Western
16 Climate Initiative. So we saw that we had an
17 impact.

18 When the bill was being debated in
19 committee and when it was being debated on the
20 floor, we were getting phone calls from
21 congressional staff asking for our help to
22 craft amendments or to craft language to move
23 the bill forward. And that's very beneficial.

0078

1 They wouldn't be calling Washington state
2 otherwise. They just wouldn't.

3 So as you think about working together,
4 I would encourage you to think about expanding
5 to some extent, as you can, to bring in states
6 in your region that aren't like you. Because
7 I think that that provides you with the
8 ability to understand some of the -- and work
9 at it in a very real way -- the compromises
10 that have to take place to make something
11 happen.

12 We are very, very different from Utah
13 and Montana, but we found ways to work
14 together. We found ways to come to agreement
15 on some very basic and very fundamental issues
16 around limiting carbon emissions that we
17 wouldn't have done if they hadn't been at the
18 table. We wouldn't have even thought about
19 it, because we just don't have that reality.
20 We don't have great big coal plants in our
21 states.

22 So it's been very beneficial, and I
23 don't want it to sound like it was easy,

0079

1 because it wasn't. But it was a good
2 experience and one that I think all of the
3 states have benefited from. And I think that
4 the membership that we have demonstrates the
5 value that other jurisdictions have seen from
6 just even being part of the debate, part of
7 the discussion, and in the room while we have
8 sorted through these issues.

9 MR. VAL MARMILLION:

10 Thank you very much. Are there any
11 quick comments? We will move on to a very

12 different part of the country in Texas.
13 Eddie.

14 MR. EDDIE FISHER:

15 Okay. Thank you. I have a
16 presentation too that we will bring up just a
17 few slides.

18 I thought when I saw the state of
19 Washington ahead of us that, what were you
20 thinking as the chairs, but it's a really good
21 tie-in showing the alliances and the
22 differences and the challenges that we have.
23 And I think the two presentations that we have

0080

1 here are going to be very effective in
2 conveying what Janice says is we need to build
3 alliances and partnerships where we can listen
4 to in congress.

5 As I said, I'm from the Texas General
6 Land Office. There was a question earlier
7 about how are some of the research from NOAA
8 distributed. We work really hand-in-hand with
9 the Coastal Zone Management Program, the
10 Coastal States Organization. In fact, that's
11 who I work for in the Texas General Land
12 Office is the Coastal Management Program. So
13 those tools come through NOAA to the coastal
14 managers and then we take them to the local
15 planners. So there is a good link there.

16 To give a little bit of background of
17 exactly what the Coastal States Organization
18 is, it's really the 35 coastal states and
19 territories and commonwealths. They get very
20 upset when you leave them out. The Great
21 Lakes states as well. All of the members of
22 the Coastal States Organizations, the
23 delegates are appointed by the governor of

0081

1 that state, and we meet a couple of times a
2 year in D. C. We also have an executive
3 committee that I'm a member of and we have
4 certain work groups.

5 And one of the work groups that we
6 think is very important is the Climate Change
7 Work Group. The Climate Change Work Group
8 early on -- let me go back to Janice's -- is
9 that we had a consensus that we could not
10 agree on the overarching issue of CO2
11 emissions. The California and Washington
12 representatives really wanted to talk about
13 mitigation, and we wanted to talk about
14 adaptation in our areas. And we agreed as
15 coastal managers that our challenge was really
16 adaptation, and that's where we could have the
17 most difference.

18 Some of the things that the work group

19 has done, and you kind of look at this and
20 say, well, why is this important. Again, some
21 of what's been said before. Some of the
22 language that we have written in these
23 reports, congressional staff that are

0082

1 authoring climate change bills, contacted CSO.

2 And one of the last bills, the
3 adaptation part of it, was taken word-for-word
4 from one of our working papers. So this is a
5 very good way to get through your states
6 meaningful language that will affect
7 congressional legislation.

8 Our next thing that we're working on
9 this year is to really define -- and we're
10 going to call to task our scientists here on
11 the first panel on this is what our real
12 challenges are and what we're going to be
13 asking for in legislation coming up this year.

14 I have some slides that point out some
15 things here in the Gulf of Mexico, but all of
16 the planners, our main concerns are is that we
17 don't have the data that we need to make the
18 right decisions. We don't have the data that
19 we need to be able to pass that on to the
20 local planners.

21 There's a huge difference between a
22 meter of sea level rise in this century and
23 five meters. Those are two entirely different

0083

1 planning strategies. And we can't operate in
2 that kind of environment. And that's the
3 challenge that we're going to present to NOAA
4 is to give us more -- and that's what they are
5 working on -- give us more research, including
6 showing that Antarctic melt, to be able to
7 measure that more accurately so that we can
8 define these ranges more closely so that we
9 can have a better idea of what we're looking
10 at. And also what is the potential of what
11 are called nonlinear events, such as the
12 entire ice sheet melting off at one time.

13 We need to know those possibilities.
14 We need to have scientific data to back that
15 up that we can stand behind and be able to get
16 legislation and start planning.

17 In the Gulf of Mexico, we're very
18 different from, again, Washington. We're the
19 canary in the coal mine as far as sea level
20 rise. This is a barrier island in Texas.
21 When your entire barrier islands are less than
22 three meters in elevation in some areas, even
23 a meter a century is a big deal. If we are

0084

1 looking at more than that, it's a huge

2 problem.

3 And even a small rise or increase or
4 acceleration in that is very important,
5 because it starts to exacerbate erosion. It
6 starts to do things that we hadn't predicted
7 or planned for.

8 Some of this has been mentioned before,
9 but just to give you an idea. When we come to
10 the meetings from the Gulf Coast, when we come
11 screaming with our hair on fire, is that --
12 this is information produced from the EPA, Jim
13 Titus and Charlie Richland, that say that
14 58,000 square kilometers of land along the
15 Atlantic and Gulf lie below the 1.5 meter
16 contour. Louisiana, Florida, and Texas and
17 North Carolina account for more than
18 80 percent of that low land. So that is why
19 we are concerned.

20 We've talked about some of the tools
21 that we need to be able to take this down to
22 the local level. This is a product produced
23 by (inaudible) research entity. We didn't

0085

1 actually fund this under the CMP directly.
2 The study would be funding a lot of the data
3 that he used to create this. And this was
4 sort of how the evolution of this process of
5 addressing adaption and climate change has
6 developed.

7 The city of Galveston asked for this
8 plan to show what the hazards are. And
9 without getting into the legend here, you're
10 okay if you are dark green. Everything gets
11 consistently worse until you're red. And it's
12 a very high normal area.

13 The city had asked this to be produced
14 and presented to the city council. When they
15 got the product, they were so shocked that
16 they had asked if there was any questions.
17 And there were no questions from the council
18 after they saw that.

19 However, we had, again, a major event
20 happen in Texas when Hurricane Ike hit in
21 2008. It completely changed the way the city
22 planners looked at this. They developed a
23 restoration plan for the marshes on the bay

0086

1 side, which we got funding for. Also, on the
2 gulf side, where I will show in a minute,
3 where there's development right up to the Gulf
4 of Mexico, the city for the first time in its
5 history is considering setbacks.

6 At the General Land Office, we do
7 manage construction on the beaches, but it's
8 really implemented at the local level. And

9 for the first time, our commissioners went to
10 the legislature and had a bill passed at the
11 local governments. Sheldon Phillips, a local,
12 wrote in response, they're going to have to
13 show how they're going to adapt to the climate
14 change.

15 This is an example of -- people were
16 talking about differences. This area here on
17 west Galveston Island, there were 200 feet of
18 dunes, four dune ridges before you got to the
19 dunes, and then it was the Gulf of Mexico. In
20 this particular photo, it looks like three
21 rows of those houses are now in the Gulf of
22 Mexico in this area. So that's what we're
23 dealing with with the current sea level rise

0087

1 situation in Texas.

2 And the tools that we need -- those
3 contours that are done by USGS LIDAR, which
4 are at four-foot contours, we extrapolate
5 two-foot contours out of that. What we are
6 asking for is Gulf -- Gulf of Mexico planners
7 is we need LIDAR at one-foot contours to be
8 able to accurately monitor what's happening to
9 the wetlands and to the Gulf and the dunes.
10 So when you speak of that to other states
11 where the coastline meets a bluff that's 40
12 feet high, four- to eight-foot contours work
13 pretty good.

14 But for us, where you have a slope of
15 barrier islands that are 50 to one, it doesn't
16 work for us at all. So what we're asking
17 for is, especially on a regional basis, the
18 tools to help us understand what's happening.

19 And, again, kind of going into the
20 whole debate of sea level rise is what is it?
21 One of the things that we're very fortunate to
22 have is historical data, which is hard to
23 argue against. This is measured in Galveston

0088

1 exactly 100 years. Approximately two feet
2 over the last 100 years. So, again, if we
3 only look at the data that shows what happened
4 over the last 100 years with no acceleration,
5 we have a tremendous adaptation problem to be
6 able to cope with that.

7 And what we are looking for is if we
8 have an acceleration, to be able to quantify
9 that so that we will be able to adjust to it.
10 And one of the other questions I think Jeff
11 had about the subsidence issue. If you look
12 at the chart, probably in the major
13 exploration, production in Texas was probably
14 in the '40s to early '60s. There's really no
15 variation in that graph one way or the other

16 that shows any trend.

17 There are some geologists that contend
18 there's some more regional subsidence
19 phenomenon in the Louisiana and Texas coast
20 unrelated to oil and gas and water extraction,
21 but that's still somewhat debated as well.

22 So I would like to close with just
23 saying, we'd be glad to help America's Energy

0089

1 Coast carry this message through the Coastal
2 States Organization. I missed a conference
3 call when I was at work yesterday, where NOAA
4 released a product that's out for public
5 comment, and I will distribute that to the
6 group to look at.

7 Again, what we're really going to ask
8 of NOAA and the federal government in
9 (inaudible) provide information for
10 legislation. We need the tools. We need more
11 accurate predictions that we can sell to local
12 policymakers to be able to make the right
13 decisions.

14 MR. VAL MARMILLION:

15 And just one short question, Eddie.
16 When you were working with this committee that
17 was trying to come up with climate policy, how
18 long was the process and what were the big
19 obstacles?

20 MR. EDDIE FISHER:

21 It's been about a five-year project.
22 The big obstacle at first is were we going to
23 include mitigation in our strategy or were we

0090

1 only going to look at adaptation. And we
2 decided that certain mitigation is important,
3 but that's somebody else's bite, because our
4 authority as coastal managers comes from the
5 Coastal Zone Management, not from the Clean
6 Air Act, and so we felt like we could have the
7 most impact on adaptation.

8 MR. VAL MARMILLION:

9 Any other quick comments? Yes.

10 MS. WOOD:

11 So you mentioned that -- I'm looking to
12 see. It seems like you said that you don't --
13 that implementation moves down to the local
14 level, or something along that line, in terms
15 of responding to climate change.

16 MR. EDDIE FISHER:

17 Well, what we try to do, again, NOAA,
18 through the Coastal Zone Management Act,
19 states how Coastal Zone Management plans. And
20 through those plans, how we implement those,
21 we usually provide grants to local
22 governments. We provide workshops for local

23
0091

governments. And the tools that NOAA

1
2
3
4
5
6
7
8
9

produces, we use those on a state level through our Coastal Zone Management programs.

And then we share that with the local planners in order to carry the message through to everyone who's working on that. We have a lot of information that we put on our website that is available to everyone, but we also try to hold conferences.

10
11
12
13
14
15
16
17

We had a coastal conference a year ago. It was actually scheduled to be held the week that Ike hit. But it was delayed about a year, and we had almost 500 participants from industry, from elected officials, local planners, researchers, that type of thing. That's how we get a lot of the message out, through conferences and other things like that.

18
19
20
21

MR. VAL MARMILLION:

Okay. Thank you very much. Pat Hogan with Pew, we welcome your comments.

22
23
0092

MR. PAT HOGAN:

Thanks again for having me down here today. So as you all mentioned, I will do a

1
2
3
4
5
6
7
8
9
10
11
12
13
14

quick cleanup and pass over the other regional initiatives around the country. Just a few quick words about the Pew Center, who we are and what we do. The slide, please.

We're coming up on our 12th birthday, so we're entering adolescence. We're an independent, non-profit, non-partisan (inaudible) research and education firm. We do research on pretty much every aspect of climate change problems, including economics, science, and policy at the state, national, and international levels. We engage governments and stakeholders at every level as well.

15
16
17
18
19
20

I also work very closely with the business community through our Business Environmental Leadership Council, which is a group of about over 40 mostly Fortune 500 companies that see quite a problem and want to be part of the solution.

21
22
23

So a lot of what I'm going to say here is going to echo comments that Janice and Eddie already made, but I think some of these

0093

1
2
3
4
5

bear reiterating. So this is just the quick list of why states and regions are taking action on climate change.

Of course, first and foremost, many regions are seeing climate impacts and are

6 justifiably concerned. We have heard a lot
7 about sea level rise in this region, again,
8 discussion of water in the west. But other
9 regions, such as the midwest are facing the
10 prospect of more severe droughts, heatwaves
11 and heavy precipitation amounts, among other
12 things.

13 So states see this as a problem and
14 having moving for most of the last decade to
15 fill what they perceive to be a leadership gap
16 at the federal level. They just don't see
17 that the feds are doing their job. They're
18 not taking it seriously enough, and the states
19 and regions are moving to fill that void.

20 The flip side of that is that many
21 states and regions also see addressing climate
22 change from the standpoint of adaptation
23 challenges as a chance for economic

0094

1 development and opportunity. They see the
2 potential for clean energy jobs, the ability
3 to claim any clean energy markets. Regardless
4 of what happens at the federal level, they see
5 the way the future is going. There are no
6 arguments substantially made. It's for a
7 variety of clean energy technologies that may
8 position themselves to take advantage of these
9 opportunities.

10 In addition to those primary
11 motivators, mainly concerned about more energy
12 independence. The key words I think are
13 energy independence and security. Tack on
14 energy price volatility. And many policies
15 can reduce greenhouse gas emissions and have
16 co-benefits as well, such as better ambient
17 air quality in general. I believe even
18 traffic congestion in cities, among other
19 things. Next slide, please.

20 So while a lot of states are taking
21 individual action, states are also starting to
22 realize the main benefits of regional
23 collaboration in working together. And,

0095

1 again, this echos what Janice said. States
2 can really accomplish a lot more by working
3 together, you know, be it whether they want to
4 reduce emissions to try and mitigate climate
5 change or ensure best practices on adaption.
6 They're realizing that some of the potential
7 for the (inaudible) tackling the challenges
8 individually.

9 And as Val mentioned in his opening,
10 these problems and opportunities ignore state
11 and regional boundaries. It's not something
12 that's just going to affect that one state,

13 it's going to affect that entire region. So
14 everybody has a chance to benefit by working
15 together to address these challenges.

16 In addition, in working on these
17 policies that we (inaudible) region-wide
18 economic development. This includes
19 clustering new clean technology firms,
20 manufacturing firms, and the spillovers that
21 you get from that.

22 And a way to benefit is that the full
23 benefits of taking action on clean energy

0096

1 policies -- (inaudible) you realize that at
2 the regional level. If states want to pursue
3 aggressive alternative energy policies, that
4 frequently involves building new transmission
5 infrastructures to get the electricity to
6 where it needs to be. And building an
7 infrastructure often involves working across
8 state lines.

9 In addition, states engage in a lot of
10 resource and information sharing. And
11 regional action also provides substantially
12 more certainty to the business community.
13 Businesses are operating in multiple states.
14 They want to know that they're not going to be
15 facing one set of regulations in one state and
16 a totally different set of regulations in its
17 neighboring state. Next slide, please.

18 And one key point that's been referred
19 to several times already is that regional
20 collaboration really provides all the states
21 involved a much stronger voice at the federal
22 level. And I will talk about this a little
23 more later on, but this was a really explicit

0097

1 motivator for action that's been taken in the
2 midwest.

3 Several states there saw that the
4 federal debate was moving forward and
5 accelerating and that they didn't really have
6 a voice at the table. So they got together,
7 and over the course of a couple years, they
8 put together a very aggressive climate and
9 energy package which gives them a much
10 stronger voice in that debate.

11 One point that's not up here that I
12 think also bears mentioning is that regions
13 really know what works for themselves. They
14 know their own strengths, their own
15 vulnerabilities, and it makes sense to tackle
16 those on a regional basis.

17 One other point is that many of the
18 states and regions taking action would very
19 much prefer to have a comprehensive, unified

20 federal policy, such as the national
21 greenhouse gas trade initiative. But without
22 such a policy, regional action can be more
23 efficient and more effective than individual

0098

1 states working alone. Next slide, please.

2 So this kind of builds on the map that
3 Janice showed in her presentation. This shows
4 all the states that are either participating
5 in or participating as observers on climate
6 initiatives in North America. And this
7 actually doesn't include -- I'm sorry. It has
8 both the Mexican border states and the
9 Canadian provinces as well.

10 And I think it's pretty striking that
11 we're talking about a huge chunk of North
12 America at this point, not just the huge chunk
13 of the United States, but a substantial
14 portion of the entire continent. And most of
15 these regional initiatives are focused on
16 mitigation. We're looking at ways to reduce
17 greenhouse gas emissions across their regions.

18 Adaptation is definitely a concern for
19 many of these regions and it's taken up in
20 their policy design. But, to date, mitigation
21 has really been the focus. Next slide,
22 please.

23 So just building upon that map, if you

0099

1 look at just the U. S. states that are
2 involved in these initiatives, we're talking
3 about 23 states that account for nearly
4 40 percent of U. S. greenhouse gas emissions,
5 very close to half of the U. S. population,
6 and over half of U. S. gross domestic
7 products.

8 So I think, you know, that really
9 brings home the point that this isn't just
10 sort of isolated patches working
11 independently. We've got a huge portion of
12 the country covered at this point. Next
13 slide, please.

14 So just to give some quick details on
15 the major regional initiatives. The first I
16 will talk about is the Northeast Regional
17 Greenhouse Gas Initiative, which has the
18 distinction of being the first greenhouse gas
19 trading program in North America. It includes
20 10 states that account for over 10 percent of
21 U. S. emissions. It's a power sector only
22 carbon (inaudible). It just covers CO2
23 emissions from the electricity sector. And it

0100

1 is up and running. It just started last year,
2 so they're over a year in.

3 And they have set -- they initially set
4 fairly modest but certainly meaningful
5 greenhouse gas reduction goals. They
6 initially wanted to stabilize their emissions
7 at more or less current levels between now and
8 2015. And then in the few years after that,
9 reduce them 10 percent below that level. So
10 these are just some details on the trading
11 market itself.

12 As I think many of you are aware, cap
13 and trade works by setting a cap on the
14 overall economy-wide or sector-wide emissions
15 of a particular group. In this case, CO2.
16 And then issuing to all the companies under
17 that cap a number of allowances, whatever the
18 cap is. So if the cap is a thousand tons,
19 there are a thousand tons distributed, and
20 these are tradable.

21 The ultimate goal is that as the cap
22 declines over time, you achieve a desired
23 level of pollution reduction at -- at the

0101 least cost and the least cost manner.

1 So the way RGGI went about this
2 process, they -- most of the state functions,
3 the vast majority of the participants trade
4 allowances and RGGI's original design, all the
5 states agreed to set aside at least a quarter
6 of their allowance value to support related
7 policies, such as energy efficiency measures
8 and renewable energy investments.

9 So far, the RGGI states have held six
10 allowance auctions. Prices have ranged from
11 just over two dollars to about three and a
12 half dollars. And if you look on the next
13 slide, this sort of gives the rundown of the
14 totals that each of the participating states
15 have realized from these allowance auctions.

16 (inaudible) revenue, and they are
17 turning these funds around and investing them
18 in efficiencies, which everyone agrees is the
19 most cost effective way to reduce energy,
20 energy use, energy efficiency reductions and
21 ultimately save money in the long run. And
22 they're also investing in low income
23

0102 weatherization programs and (inaudible).

1 I think I will probably skip over the
2 WCI slides since Janice really already
3 addressed what the western states are doing
4 and go straight to what's happening in the
5 midwest. So this is the Midwest Greenhouse
6 Gas Reduction Accord, the participating states
7 and observers.

8 Again, these states would have a
9

10 significant percentage of total U. S.
11 emissions, and they have at least what they
12 call draft final recommendations for an
13 economy-wide ultimate sector greenhouse gas
14 trading program that has a fairly aggressive
15 target, in the range of 18 to 20 percent below
16 the 2005 levels by 2020.

17 On the next slide, I just wanted to
18 talk about some kind of unique features of the
19 midwest effort. You know both the Western
20 Climate Initiative and RGGI have had
21 substantial stakeholder involvement in their
22 processes. I think what sets the midwest
23 apart is that they -- from the beginning,

0103

1 their whole policy design revolved around
2 having stakeholders for the first time in the
3 room.

4 So it wasn't just the point and go
5 officials or the state energy officials and
6 staff. It was the people from the business
7 and environmental communities, academia,
8 agricultural, and wavering trusts all working
9 together to try and put together a design
10 document for a response to that, a very
11 aggressive regional oriented climate program.

12 As is the case in the Western Climate
13 Initiative, they are aggressively pursuing
14 complementary policies and energy efficiency
15 and clean coal and renewables as well.

16 And as I will talk about in a minute,
17 job creation and retention is one of the key
18 drivers and key goals behind this idea as
19 well. So that trading program that you just
20 saw is really just part of a much broader
21 energy climate policy package that includes
22 aggressive goals for energy efficiency. A
23 goal of carbon capture and sequestration,

0104

1 renewables, and alternative fuels.

2 I don't want to spend too much time on
3 this, but you can see an energy efficiency
4 goal of 2 percent savings per year is both
5 aggressive, but, as the states have found,
6 achievable. As a region, they have some of
7 the most aggressive goals regarding
8 development of carbon capture and storage
9 technology that exist anywhere.

10 Let me just show very quickly the goals
11 they have set regarding alternative fuels and
12 renewables. On the next slide, I will just
13 conclude with briefly noting the most recent
14 developments in the midwest. Like I said,
15 they really see these policies as a means to
16 stimulate economic development, job creation.

17 And just last October, they built on their
18 existing process by putting together a roadmap
19 that looks at how pursuing these policies and
20 additional policies will result in job
21 creation.

22 The key features of the roadmap is that
23 they recognize the role or potential in the

0105

1 west and emerging clean energy features and
2 really seek to build on existing regional
3 strengths in manufacturing, in particular.
4 And then tied to this, they have also released
5 an energy security and climate (inaudible)
6 roadmap that came out around the same time
7 that gives us more detailed policy
8 recommendations for achieving the goals that
9 we saw in the last few slides.

10 So this is really a very broad kind of
11 full-sector approach to these problems. And I
12 think I will wrap up there for any questions
13 people might have.

14 MR. VAL MARMILLION:

15 Thank you very much. I'm struck by
16 your comment that regions know best what works
17 for themselves. I'm struck by Sidney's
18 opening comments about the uniqueness of our
19 place here, these four producing states.

20 And how do you accommodate the current
21 dialogue in this region right now that these
22 states are going to suffer under most of the
23 policies, because the region is not treated as

0106

1 unique, as the source of much of the energy
2 that's produced in the country? How do you
3 accommodate that -- that issue? And you also
4 had some heavy, heavy environmental issues,
5 like coastal restoration, which we would love
6 for our science community to tell us if that
7 should be part of the regional policy. That
8 includes the carbon issue.

9 Do these come together in a region? Do
10 we, you know, make a special package that
11 doesn't follow, you know, everything we have
12 seen? That keys off of what you are saying,
13 which is, you know, we know best what to do in
14 our region and we need to get on with it.

15 MR. PAT HOGAN:

16 Yeah, I think those points -- that
17 points to a lot of perils that this region and
18 especially this process had with the midwest
19 and what they have been doing.

20 The midwest really -- a lot of the
21 states felt they were in a very similar place.
22 They felt they were being ignored, their needs
23 were not being met by the policies that were

0107

1 being discussed across the country and in
2 Washington, D. C. That was a big motivator on
3 getting together and really talking about, you
4 know, what they wanted from climate energy
5 policy.

6 So in the case of the midwest, they
7 have a heavy emphasis on coal carbon capture
8 and storage development. Recognizing that,
9 you know, we're not going to flip a switch
10 overnight and get rid of our existing energy
11 base. Fossil fuels, especially coal and oil,
12 are going to be part of the energy mechanics
13 for sometime to come regardless of what
14 happens with climate managing policies.

15 So the midwestern states recognize this
16 and built that into their policy design. And
17 I think there's a potential for something
18 similar to that in this region, that they're
19 addressing their energy problems (inaudible).
20 It's a very broad portfolio (inaudible) over
21 several decades.

22 And it's possible to participate in
23 that and take climate change seriously and

0108

1 address that at the same time. In addition, I
2 think, like I mentioned earlier, these major
3 existing initiatives are primarily focused on
4 mitigation. They definitely take adaption
5 seriously.

6 But I think an unified, strong,
7 detailed regional approach to adaptation would
8 be something both unique and really powerful.
9 If this region put together a package that
10 included something like that, I think it could
11 give them a very strong voice.

12 MR. VAL MARMILLION:

13 Other points?

14 MR. GARY SERIO:

15 I'd like to ask Janice a question. You
16 talked about the effect of the states
17 participating (inaudible) to get an agreement
18 on what was in and what was out classified
19 within a renewable standard? If so, was that
20 difficult?

21 MS. JANICE ADAIR:

22 We actually have left a lot of details
23 up to individual states. Even with the design

0109

1 of our cap and trade program, a lot of the
2 details will be left to individual states,
3 because we recognize the ultimate political
4 process used that we have to go through.

5 So we have certainly an overarching
6 policy that states any problems that

7 (inaudible) figure out the best fit for them
8 it. And that's something that I actually
9 think has made it extremely workable. And
10 probably one of the reactions that a lot of us
11 has to what happens in D. C. that I think
12 somebody used the term earlier this morning as
13 a cookie cutter approach. We have the same,
14 exact feeling.

15 And we also felt like we weren't being
16 paid attention to in the national debate. It
17 wasn't reflective of what we wanted or what we
18 thought we needed. So I think that's part and
19 parcel of what comes with regional efforts in
20 trying to pars out where you need some
21 flexibility and provide you with the
22 opportunity to build a case for why you can
23 still achieve the overarching goal and within

0110

1 the design that you have for your own area.

2 And that, I think, is really important
3 and one of the things that -- one of the --
4 something that would just be ideal is if as
5 states some -- any number, any mix of states
6 that perhaps on the surface would seem
7 particularly divergent could find a way to
8 come together to find common ground. Because
9 I don't think that's going to come out of
10 Congress. And if -- that's a profound
11 statement.

12 And I agree with Patrick that focusing
13 on adaptation for a region like yours, there
14 is a sense to that, but I would just observe
15 that -- that the very next question then, is,
16 well, so what do you do about that, and that
17 brings you back to you've got to do something
18 about the greenhouse gas emission.

19 Alaska is an observer in WCI. And
20 while they don't participate all that often --
21 Alaska is my home. I have just been in
22 Washington a few years. And I have gone back
23 up to Alaska to talk with their groups that

0111

1 are working on greenhouse gas emissions, and
2 they grapple with the same thing. 80 percent
3 of the state's revenue come from oil
4 production. They don't have any other
5 broad-based taxes in the state and they have
6 huge economic needs. So they're looking at
7 this in terms of, God, you know, what do we
8 do. We reduce production. That reduces their
9 revenues. And they don't have -- they don't
10 have the mature economy like you have down
11 here to even think about a way to make up for
12 it.

13 But they're really trying to address

14 that issue. And part of what they're looking
15 at is kind of that highest best use for the
16 oil that they have. Instead of using it to
17 power every vehicle, instead use a variety of
18 ways to power your vehicles, whether it be
19 electricity or, you know, you can get Governor
20 Schwarzenegger's hydrogen Hummer and, you
21 know, whatever else, and then you have the
22 fossil fuels available for some higher, better
23 use, which in their estimation, actually

0112

1 brings in more revenue.

2 So you know it's some of that creative
3 thinking that they're having to grapple with.
4 They have -- some of the oil companies --
5 British Petroleum has been very active. BP is
6 very active in the Washington process as well.
7 They (inaudible) a refinery. Most of Alaska's
8 oil is refined in Washington. So we have some
9 connection to energy production in the nation
10 as well.

11 But that's where just trying to pull
12 together different viewpoints in a setting
13 where people can really brainstorm and really
14 think through a lot of the what ifs and how
15 would we, I think, can be so beneficial.

16 MR. VAL MARMILLION:

17 Robert.

18 DR. ROBERT TWILLEY:

19 Yes. It's very interesting listening
20 to this and having discussed this within the
21 America's Energy Coast for several years now.
22 I really enjoyed listening to this imperial
23 we. Who is the "we" in these regional

0113

1 settings? Is it -- you know, you say there's
2 got to be some starting point in any of these
3 regional initiatives. So who is the we?

4 In a regional climate setting, is it
5 the state -- you know, the government getting
6 in and saying we are going to build an
7 initiative? Is it congressional bodies that
8 say we've got to do this? I mean, how does it
9 get started?

10 MS. JANICE ADAIR:

11 Within WCI, and actually the Midwest as
12 well, started with something that all the
13 governors sort of -- the staff wrote it up and
14 the governors signed onto this. So it's not
15 exactly an executive order, but it sort of
16 looks like one that the governors say that
17 sort of we, the undersigned, we're this, we're
18 that, we're this other thing, and we're going
19 to direct our staff to go forward and do these
20 things.

21 And they all signed onto it and that's
22 been the marching orders then for the staff.
23 Some of the folks come from governors' offices

0114

1 at the table, the people who are sitting
2 around the table. Some come from an energy
3 office. We have representatives from most of
4 the environmental agencies. We have commerce
5 or trade, you know, whatever that might be in
6 a given state or province.

7 Most of the jurisdictions in WCI have
8 two to three representatives. California
9 brings a herd. And then, you know, states
10 like Montana, Manitoba, again, a small
11 province, they just have one. We have a whole
12 structure of committees. We have outreach to
13 groups. We don't have private participants
14 because there was a concern that not every
15 voice would be equal.

16 So it's the states and provinces that
17 do the negotiations. At least part of our
18 meetings are open to the public, whoever wants
19 to wander in. But then all of the information
20 that we develop, all of the drafts, all of
21 that going out to the public for review and
22 comment. We have stakeholder meetings,
23 webinars, teleconferences.

0115

1 Before Congress started to act, we had
2 a lot more activity. While the House was
3 debating the bill, we were sort of yesterday's
4 news. Now, the interest is starting to pick
5 up again. Does that answer the question?
6 DR. ROBERT TWILLEY:

7 That answers it. I guess that's
8 similar to the Gulf Coast Alliance, if we did
9 something on climate, it would be quite
10 similar. I think my last comment, real quick
11 is that I couldn't help but think that with
12 this mitigation and adaptation, then what we
13 really might consider is that we not only
14 start talking about carbon with the midwest,
15 but we talk about sediment. Let's make a
16 deal.

17 MR. VAL MARMILLION:

18 We will wrap up with the general
19 discussion for some of these topics and,
20 Maura, if we can just -- can you hold it to
21 that. Because I would like to get this other
22 panel in and we'd like to end around noon if
23 we can.

0116

1 Tom Peterson with The Center for
2 Climate Strategies. Tracie Sempier from
3 Mississippi-Alabama Sea Grant. LaDon Swann,

4 Mississippi-Alabama Sea Grant. And Julie
5 Harrison with the Southeast Energy Efficiency
6 Alliance. And this topic is Prospering in a
7 Carbon Constrained Economy and Adapting to
8 Climate Impacts.

9 MR. TOM PETERSON:

10 So we have been active for the last
11 several years across the United States helping
12 states with the development of comprehensive
13 climate action plans and other forms of
14 technical assistance. We're also working with
15 all six of the border states of Mexico and
16 we're helping the Chinese provinces right now.

17 A interesting story, and we'll circle
18 back to it because in China, each of the
19 governors for the next five years will be
20 required to meet two goals. One is an
21 emissions reduction goal and the other is an
22 economic growth goal. And so we're sharing
23 experience in how states in their state course

0117

1 here have also addressed these dual
2 objectives.

3 And so that really is central to the
4 work that we did with the southern governors
5 this last year. And I'd like to thank Jeff
6 for inviting me to be here today. And also
7 Entergy was one of the many stakeholders we
8 have worked with in the south during our
9 process in Arkansas. Pew was a great
10 participant in that, and we really appreciated
11 all the help you guys provided.

12 So let me zoom in, if I might, on what
13 these southern governors asked us to do. They
14 commissioned us last year to do two things.
15 One is a regional economic study of the
16 potential impacts associated with climate
17 actions in the SGA region. And the second
18 thing they asked us to do was a meta analysis
19 of a wide range of different studies that were
20 crossing their desks that were also estimating
21 the cost of climate action, either in their
22 state or the region, and they wanted some help
23 understanding why they were hearing such

0118

1 dramatically different things all about the
2 same issue.

3 So a couple of backdrops are very
4 important here. This is a governor-run
5 initiative directly with the governors,
6 directly through their offices. This was not
7 an agency level initiative. And when we did
8 the presentation, for instance, in
9 Williamsburg in August, 11 of the 18 governors
10 were physically present. So everything we did

11 was at that level. The nature of these
12 discussions as a consequence are a bit
13 different than we have seen in other regional
14 initiatives.

15 This was based on an initiative that
16 Tim Kaine, Governor Tim Kaine from Virginia,
17 launched. He has since been replaced by
18 Governor McDonnell in Virginia, but Tim really
19 was the lead convenor for this initiative.

20 So let me dig into a couple of details
21 here. And what we -- what I'm going to do is
22 show you the results of this analysis. And
23 there are some reference data here you can

0119

1 circle back to. I won't spend too much time
2 on all the details.

3 But the bottom line was one of the
4 really important requests that the governors
5 made, as we worked with them, is that they
6 wanted to understand the views of their
7 stakeholders in some very organized and very
8 fact-based, objective, analytical way. They
9 were very, very uninterested in hearing the
10 views of institutions and their perspectives
11 on the issue.

12 And so we had worked with five states
13 previously in the SGA region, starting from
14 Arkansas, Florida, South Carolina, North
15 Carolina, Maryland, and then provided some
16 assistance to Virginia as well, and worked
17 with better than 300 stakeholders over a
18 couple-year period to do that, to go through a
19 formal step-wise, fact-based,
20 consensus-building process. And that resulted
21 in the generation of climate action plans and
22 then specific recommendations within them that
23 covered over 200 specific policy actions that

0120

1 were fully analyzed that had gone through this
2 very intensive, formal, public decision
3 process.

4 So the starting place was the results
5 of those plans. And they wanted to understand
6 what we could learn from them if they were to
7 be applied regionally. 16 states, two
8 territories. So the SGA region's 40 percent
9 of U. S. population, over 50 percent of U. S.
10 energy, 40 percent of House votes, a third of
11 the Senate. So it's a pretty important
12 region, and it's a big one. It stretches from
13 Texas, Maryland to the U. S. Virgin Islands,
14 Puerto Rico.

15 So they wanted some notional
16 understanding of what would this look like at
17 a region level if we learned from these five

18 efforts and stretch them out. They also
19 wanted to know what these would look like for
20 each individual state, because a number of
21 them hadn't developed climate action plans
22 yet. So part of what we did was develop
23 customized cost curves for every single state

0121

1 and territory that did not already have them,
2 which they have and they were provided
3 privately to the governors for their own use.

4 But publicly, we provided aggregate
5 information that I will share with you. And
6 the way we did this was, as the first order of
7 business, updating the plans that had already
8 been conducted. A couple of key things have
9 happened of late that change the numbers.
10 First is a recession and changes in economic
11 forecasts. The second are changes in energy
12 price forecasts, which are always fluid. And
13 the third are recent actions, whether they're
14 at the federal level or at the state and local
15 level.

16 Now, we also know that there are a lot
17 of private sector actions that have occurred
18 in the private sector in advance of markets
19 and policy, and a tremendous amount has
20 actually happened in the south. And this is
21 one of the underappreciated realities of this
22 region is the degree of private sector
23 activity.

0122

1 So we did an update based on all of
2 those things. So then we went through an
3 extrapolative process, which I won't bore you
4 with the details, but it's a modeling process
5 that used 37 different factors that are able
6 to tag unique characteristics of each state or
7 territory and unique characteristics of the
8 sectors within them so that this base of
9 information can be extrapolated out.

10 One of the things -- and that process,
11 by the way, that whole analytical process was
12 developed jointly with the governors and with
13 their key staff. So we really built this
14 specifically at their request for them. The
15 isolation of the factors, their application
16 and all that went through this joint process.

17 One of the key things that we learned
18 along the way is that 23 major policy actions
19 were responsible for over 80 percent of the
20 greenhouse gas emissions reduction potential
21 out of these plans, so we focused the
22 analysis -- let's just call it like two dozen
23 big ticket policy actions, recognizing that

0123

1 there's another bucket of smaller things that
2 are important for other reasons and are
3 included in the state plans. But we did that
4 simplification.

5 Let me also just say that this was an
6 interesting gathering that we did in
7 Williamsburg. In addition to having most of
8 the governors present, our presentation was
9 preceded by a security analysis by former
10 Senator John Warner and Major General Richard
11 Engle from the U. S. Air Force, who is with
12 the National Intelligence Climate Change
13 Council now.

14 And that's available on the SGA
15 website. You can see what they did, but it
16 was essentially framing this issue along
17 security lines and providing an understanding
18 of how this would translate into a security
19 analysis with respect to climate change
20 impacts and energy and economic security
21 impacts that are associated with it.

22 So we framed the discussion with that,
23 and then went into the presentation of the

0124

1 material that was developed through
2 stakeholders, through open public fact-finding
3 and policy development process.

4 One example of a state that we used of
5 the five is Florida. These are on our
6 website, Climate Strategies dot U. S., and
7 like the other states, they involve this
8 portfolio of actions that were converted on a
9 microeconomic basis to cost curves and also to
10 what we call the good, old-fashioned
11 (inaudible) alligator's jaws.

12 And in Florida, you can see a bunch of
13 lines and the top line is the emissions
14 trajectory and the bottom line is the
15 achievement of a planning process, and a bunch
16 of lines in between show the emissions
17 actually have come down already in Florida
18 associated with particular executive orders,
19 laws, and other actions.

20 And so we have that kind of depth for
21 each and every one of these states. What we
22 also have, and I'm going to comment on the
23 national version of this a little bit later on

0125

1 is macroeconomic analysis in some of these
2 states that isolates for each of the
3 individual policy recommendations their impact
4 on jobs, income, employment, value-added
5 investment, the prices of goods and services,
6 including energy, market share-ships,
7 distributional impacts, a whole bouquet of

8 things that fall into a bundle of secondary or
9 macroeconomic impacts.

10 Now, we didn't do that for the southern
11 governors, but we did it for a couple of the
12 individual states. And so we have an example
13 here that is from Florida. And in Florida,
14 it's interesting that most of the economic --
15 macroeconomic benefits from that plan which
16 were quite substantial are associated with the
17 renewable portfolio standard. And within
18 that, most of them were associated with solar
19 power.

20 So solar emerged as a huge issue in
21 terms of both emissions production potential
22 and in terms of economic growth in Florida.
23 And that's not the same everywhere else. It's

0126

1 unique to Florida. But the process by which
2 that is done is something that does now exist,
3 capability exists to be able to create these
4 customized policies and to be able to assess
5 their economic expansionary effects. And
6 they're not all equal, but Florida is a really
7 great example of that. And then solar is one
8 of the best examples of all.

9 We see other examples. Just so you
10 know, in North Carolina, we did similar work.
11 The graph on the left is a series of response
12 curves for energy efficiency actions proposed
13 by their group. And this -- I think; I can't
14 see it -- is probably the income response for
15 what we found. And the first thing was for
16 energy efficiency opportunities. When you run
17 the macro numbers, in North Carolina every
18 single one of the options without exception,
19 net gains on jobs, employment, and economic
20 growth.

21 The graph on the right is cellulosic
22 ethanol. By far, the biggest employment
23 response of any action by any of the states in

0127

1 the south. And you can understand why it was
2 a consequence. There was so much focus on
3 cellulosic ethanol in the region as an
4 economic development opportunity. So, again,
5 the tools exist and we have now a pretty good
6 set of numbers to indicate that there are
7 economic development opportunities here. We
8 also know that some of these things don't work
9 as well others. And some of them actually
10 have the opposite effect.

11 In terms of the process, it was all
12 customization. This was not cookie cutter.
13 We have heard a lot today about the states
14 wanting to exercise rights to

15 self-determination in everything they do. And
16 so the point of these processes was to gather
17 stakeholders working with the state in
18 partnership to make a series of decisions that
19 would customize their action plan: Which
20 policies. How are they designed. Which
21 instruments would be used. Exactly how they
22 would analyzed, right down to the data,
23 sources, methods, assumptions, et cetera.

0128

1 A repetitive process we went through
2 many, many hundreds of times to develop these,
3 but it's the process of what we call mass
4 customization. And it results in a policy
5 portfolio, which is what these climate action
6 plans are. A combination of actions within
7 the sectors that would be implemented by
8 specific policy instruments. And it's not an
9 one size fits all.

10 So part of what they did and where most
11 of their conflict resolution occurred was
12 figuring out how to do these things exactly
13 right to fit their circumstances back home.
14 Parenthetically, we are in the process of --
15 we have done a couple of adaptation plans.
16 Maryland being a great example. I'm in the
17 middle of doing a full one for New York right
18 now. And we're in the process of converting
19 that process very much in parallel to what has
20 been done and what we have done on the
21 mitigation side, comprehensive step-wise,
22 fact-based using a series of methods, et
23 cetera. So just FYI on that.

0129

1 So what are some of the results in the
2 region? We did an inventory forecast. Short
3 story is the emissions dominate that coal and
4 oil. We took a look at the changes in
5 emissions over the last couple of years and
6 they have come down. Turns out they have come
7 down really significantly. We will see in
8 another graph in just a moment.

9 And now a reminder, when we drew the
10 data from these five state plans, we also have
11 a database of 20 state plans nationwide that
12 have over 900 different policy options in the
13 database that have been fully analyzed that we
14 can draw upon. And we have done a national
15 version of all this that will be available in
16 the month of March.

17 In terms of the 23 big ticket items --
18 this may be hard to follow, but it broke down
19 into ag, forestry, waste, transportation,
20 improvements, residential, commercial,
21 industrial, and energy supply and power. It's

22 a familiar list, not surprisingly because as
23 stakeholders sat around the table and worked

0130

1 to find the things that they could build the
2 highest consensus around, things that would
3 have the lowest costs and the highest
4 benefits. They wanted the things that were
5 well understood and had expansion potential or
6 gap fillers that they thought could be done in
7 a practical fashion.

8 And so this list includes those things.
9 And if you look at the far right, not a
10 surprising list here, and the same we found
11 exists nationally. Just to shine light on
12 one, for heat and power. Coal plant
13 efficiency improvements in the way of power,
14 renewable portfolio standard, carbon capture
15 scores, and reuse of nuclear power.

16 And so just to give you a flavor of the
17 isolation on the really big ticket items here,
18 that cost that came out of these analysis, the
19 really important take-away here is that half
20 of this stuff was below the zero line, which
21 means on a net basis, it saves half of it on a
22 net basis expense. The composite of it is
23 break even or less.

0131

1 And we broke down the cost per those
2 five additional sectors. They're not all
3 created equal. They perform differently and
4 have to be handled differently in terms of
5 policy instruments. The orange line is
6 basically the energy efficiency series of
7 actions, which are residential, commercial,
8 industrial sector. The purple line is
9 transportation. There's a green line for ag,
10 forest, green waste. And there's a dark blue
11 line that's the heat and power. So, again,
12 not all sectors are created equal. Not all
13 states are created equal.

14 And then we have data for each and
15 every one of these which shows -- again, the
16 cost curves are the visual on this. The cost
17 per ton and then the emissions removed for
18 each of these actions. And so we've got one
19 batch, this first slide, which on a net basis
20 actually saved money. And it's a long list.

21 So one of the big discoveries or one of
22 the big points of conversation with the
23 governors is the notion that of this set of

0132

1 things, about half of them potentially can
2 save money and save energy.

3 And there's another set that require
4 net spending, but are important not only in

5 driving emissions production down, but
6 providing other co-benefits, particularly on
7 the energy side. And we'll circle back to
8 this in just a moment.

9 So we didn't have this graph at the
10 time. We put this together just before our
11 work in Copenhagen. But this is a series of
12 lines that show U. S. emissions trajectories
13 as calculated by the Department of Energy,
14 starting in year 2005, went all the way down
15 to the most recent one in 2009. They have
16 dropped like a rock.

17 So emissions have come down better than
18 20 percent overall. And about 500 million
19 metric tons or so of that has come down
20 specifically because of actions that have been
21 committed to by states. So back to the idea
22 that emissions are coming down and that the
23 update of recent actions is important. We can

0133

1 actually measurably show how much of these
2 emissions trajectories have come down over the
3 factor, so it's really, really significant.

4 But we're in a very, very different
5 place today than we were just a couple of
6 years ago in terms of the emissions profile
7 than before. And so the scale up analysis
8 that we've done at the national level, which
9 shares out how this could actually -- how
10 these different actions in the sectors could
11 actually get overall national emissions down.
12 I won't dwell on that for the moment.

13 And then just to let you know, at a
14 national level we have run not only a full,
15 50-state version of this, but we have also
16 done a full macroeconomic impact analysis, not
17 only in aggregate, but for every single one of
18 the individual actions within that. So,
19 again, in terms of the ability to pitch it as
20 designed and implement actions that are
21 expansionary from an economic standard,
22 process the tools to exist, we've got a pretty
23 good body of information now of how that can

0134

1 be done.

2 Another very interesting thing that
3 shook out of this is an understanding of who
4 has to make all of this happen. And this is
5 a -- this is based on the recommendations that
6 came out of the state plans in terms of the
7 level of government that would be most
8 appropriate for the implementation of these
9 individual actions. And you can see not an
10 even divide, but a pretty big divide. We see
11 the purple is shared state, federal. The

12 green is primarily state. And the red is
13 primarily local or shared local, state.

14 So one of the things that we have found
15 repeatedly is that if you want to keep the
16 costs as low as possible, the co-benefits as
17 high as possible, and actually let states
18 tailor make things that work best for them,
19 you need to allow them to work at different
20 levels of government as well as picking and
21 choosing and customizing within the sectors.

22 And I think that's it. Let me just add
23 with respect to the macroeconomic story. One

0135

1 of the things that is really important to
2 understand here in this region is the coal
3 issue. And when we have done macroeconomic
4 analysis of energy supply issues and heat and
5 power with electricity predominantly and we've
6 looked at all four of the major actions that
7 have come not only out of this region, but
8 every other region as the four big ones that
9 try to tackle that issue, it's the coal
10 repowering efficiency, either renewable
11 standard or a payment system, nuclear, and
12 then carbon capture. They have negative
13 effects. They are not expansionary based on
14 the configuration of these options that has
15 come out of these exercises.

16 Now, to be fair we didn't have these
17 macro numbers to be able to cycle back through
18 the state work process to adjust these
19 policies so that they would work better from a
20 macroeconomic standpoint. And that's possible
21 because each of these is a ball of clay that
22 can be shaped.

23 But just so you know, and that's

0136

1 critical to this region, what's going on, we
2 think, underneath this is that we have a lot
3 of low cost coal in the system. And the price
4 tag for these new approaches or alternative
5 approaches, their costs are high enough in
6 comparison to coal, that that relative
7 difference outweighs the better multiplier
8 effects of shifting to the new and alternative
9 energy sources.

10 And so the consequences that you raise
11 the price of goods and services throughout the
12 economy has a drag effect. It counteracts the
13 stimulus effect of moving in these other
14 directions. Now, there's a lot you can do to
15 shrink that differential and turn that around.
16 But it's not surprising as a consequence that
17 in this region and in every other region in
18 the country, the role that low cost

19 electricity based on coal generation plays
20 from a macroeconomic standpoint is very, very
21 dominant and very, very sensitive.

22 It is particularly sensitive in this
23 region because everywhere we have gone and

0137

1 everywhere we go, every state wants to have a
2 production-based economy with strong
3 manufacturing. And one of the sensitive
4 points on manufacturing is keeping electricity
5 prices low enough to support that.

6 And so the challenge is how do we do
7 that while we get carbon out the system.
8 We're in the middle of this right now.
9 Kentucky, where we launched comprehensive
10 energy and climate planning process recently,
11 highest footprint of coal per capita of any
12 state in the United States.

13 But where the real story is in
14 Kentucky, as I think it is for most of the
15 rest of this region, is manufacturing. It's
16 an additional place to go, and the question is
17 how do we grow out manufacturing. How do we
18 grow out a production-based economy and still
19 do it while we're reducing emissions in the
20 other sectors, and, particularly Jeff and
21 Serio, in the electricity sector where this is
22 such an integral part of the economy of the
23 south.

0138

1 So this is the next step that came out
2 of the SGA work, but very much, I think, one
3 of the platforms things that they wanted to be
4 prepared to be able to deal with. Thanks.

5 MR. VAL MARMILLION:

6 Thank you. Jeff.

7 MR. JEFF WILLIAMS:

8 You know, I think that coal is both a
9 challenge and an opportunity for this region.
10 There's a tremendous capacity for geological
11 sequestration. We know a lot about the
12 subsurface down here. I've heard estimates
13 just offshore in the Gulf that you could
14 sequester over 200 gigatons of CO2, which is
15 100 years of U. S. electrical supply. And
16 also the opportunity to use the CO2 in the
17 interim for enhanced soil recovery is another,
18 I think, opportunity for the region.

19 The kickers are how do you get the cost
20 of carbon capture down and how do you remove
21 some of the uncertainty about whether it's
22 going to stay there and what are the risks and
23 whatnot. But what may be a challenge also may

0139

1 be giving us an opportunity.

2 MR. VAL MARMILLION:

3 And the four states that we are talking
4 about is much tighter than, I think, the
5 region you are talking about where you are
6 talking about coal.

7 MR. JEFF WILLIAMS:

8 Correct.

9 MR. TOM PETERSON:

10 And this region, one thing this
11 analysis didn't do was go deep on oil and gas.
12 It also didn't go deep on Gulf Coast issues.
13 It went deep on Atlantic Coast issues just
14 because of the configuration. Now, we know
15 from work in the west, we know from work in
16 other -- in both the southwest and in the
17 Great Plains and northern, western states, et
18 cetera, how important oil -- and all over
19 Alaska -- how important oil and gas can be.
20 It reduces -- it broadens that supply curve
21 out and it changes things, but it's another
22 thing that needs to be added. And certainly
23 these four states will be unique in that

0140

1 regard.

2 When we were working in New Mexico, one
3 of the first things we found when we did the
4 inventory forecast is that 20 percent of
5 overall state-wide emissions were just from
6 the oil and gas sector. And the vast majority
7 of those emissions were, believe it or not,
8 from leaving the hole unplugged for a period
9 of time to let it clear before we plug it, you
10 know, on the gas wells.

11 So in terms of best practice, it's a
12 baseline and we think immediate focus in terms
13 of doing things that will help correct that.
14 But going through that analytical process is
15 at least doing an inventory of where your
16 emissions are coming from is a really critical
17 starting place.

18 MS. SIDNEY COFFEE:

19 Well, just a little exchange. Because
20 I was sitting here thinking, okay, how does
21 this translate to these four states because of
22 the high concentration of oil and gas
23 refineries that we have here. I mean, our set

0141

1 of issues is entirely different from the rest
2 of the region. And how do we get to the
3 bottom of that, because what, you know, a
4 really heavy coal-producing state could do is
5 far, far different from what is even available
6 for us to do.

7 MR. TOM PETERSON:

8 Right. And so within the region, you

9 see a combination of major coal producers and
10 then other states that produce none whatsoever
11 or virtually none but use it by wire
12 extensively. So you just do that; that makes
13 your region. I think the other thing is is
14 it's absolutely the case that the oil and gas
15 issues, although there's a little bit of that,
16 you know, from our work in Arkansas, for
17 instance, and elsewhere that would be more
18 dominant. I think realistically what they do
19 did is they expand this out of it, but you
20 still have a tremendous level of overlap.

21 If you go through each of the items in
22 this major list, they pretty well apply. I
23 spoke at some length to Governor Barbour, for
0142

1 instance. And one of the things that's
2 unfinished business in Mississippi is changes
3 to building codes post Katrina that got stuck
4 in the legislature but would accomplish
5 multiple objectives. So that's very much one
6 of the top things that came out of this and an
7 example of quite a long set.

8 Statistically, out of the 23 major
9 actions, when you pool this all together, the
10 reality is that on average, every state locked
11 onto 17 of them. So there's some subset that
12 are really exactly right for them, but the
13 composite, when you applied it out, you know,
14 you drew out the whole 23. So there's still,
15 you know, a lot more tailoring that needs to
16 be done.

17 MR. VAL MARMILLION:

18 Thank you. And we're going to move on.
19 And I'm just going to let everyone know that
20 we will probably go over, a little bit over,
21 you know, in our question and discussion here.
22 If anyone needs to leave, obviously, please
23 do. We are going to get through our folks

0143
1 here on the panel. Dr. Sempier and Dr. Swann.
2 DR. TRACIE SEMPLIER:

3 Thank you. We're going to be sharing
4 this presentation about how local communities
5 are adapting and looking at that from an
6 education, outreach, extension, which they
7 did, and letting you know what is going on at
8 the very local level.

9 And one of the things I think is
10 important to mention is that a lot of the work
11 that we do is -- really cannot be possible
12 without the different partnerships that we
13 formed in this region. So my particular
14 position is a cooperative agreement between
15 our National Coastal Storms program and the

16 Mississippi-Alabama Sea Grant, and we're able
17 to sort of expand our regional efforts to
18 include the other Gulf of Mexico states
19 through the Gulf of Mexico Alliance. So
20 through these states we're able to disseminate
21 some of our information.

22 So the first line that we have is -- as
23 many of these things have already been

0144

1 mentioned by those around the table, and this
2 certainly is not an exhaustive list, but when
3 looking at our local communities, there are
4 many barriers that they face in terms of
5 trying to adapt to sea level rise and to
6 climate change.

7 These are some of the major ones that I
8 hear on a pretty much daily basis. The cost
9 of resources at the local level, for being
10 able to put reason to making your hazard
11 mitigation plans or the comprehensive plans.

12 Not having enough staff or having a lot
13 of staff turnover is difficult, especially
14 when you're trying to continue the
15 dissemination of information and continually
16 educate people about sea level rise.

17 So I will skip down to education,
18 because it's already been mentioned, and
19 rightfully so. In many cases, it's just
20 convincing others that sea level and climate
21 change are real. And although we have come a
22 long way in that, I think you will find as we
23 go into a lot of our local communities, that

0145

1 the predictions, that all the science behind
2 it is still very confusing to people and is
3 still presented in a way to where they feel
4 like there are some uncertainties in the
5 science. And so some of our communities, I
6 think, have some doubts and disbelief. And I
7 think that's a hurdle that we need to be aware
8 of and know that we're still facing.

9 Also a changing political environment
10 has been stated by a lot of our local
11 communities. Just educating some of the local
12 officials, the new folks that are coming into
13 the office. That's always changing. And so
14 that's a difficult reality for them to face.
15 Especially when they're trying to do good
16 things and take mitigation measures in their
17 community. They're always faced with how to
18 present that to the next folks that are coming
19 into office.

20 And as has already been mentioned
21 already today, the disconnect between the
22 information, the research that's being -- the

23 tools that are being created, all of this

0146

1 great research and the end user. There does
2 seem to be this information gap. When
3 communities are asked to adapt to climate
4 change, they want examples of how can we do
5 this. What do we need to do.

6 And although those examples in other
7 states are always nice to have, someone here
8 in Alabama doesn't really want to hear about
9 how the state of Delaware is adapting. They'd
10 really rather have some examples of what's
11 being done here.

12 And generally what happens when they
13 ask that question is they're given a report,
14 you know, a book, a big paper, and this is not
15 exactly what they're looking for. And so they
16 want something that's practical, on the ground
17 that they can use and talk to you and interact
18 with you right then and there. So these are
19 some of the barriers that communities face,
20 and all of you, I'm sure, are aware of these.

21 And that brings up a whole other list
22 of needs, and one that again, just to
23 reiterate, that there is this need for a

0147

1 consistent message among all of us to those
2 local communities. So what they hear and see
3 in the media or they hear and see from maybe a
4 scientist that's visiting their community, all
5 of those are education and outreach, and the
6 extension person needs to be a consistent
7 message.

8 If we tell them what the rate of sea
9 level rise is, then who would like to hear
10 this. So the same from all those different
11 entities, and that's something that we may not
12 be doing at this point.

13 Also a need for confidence intervals in
14 our models. They want to know, you know,
15 basically a risk analysis. So how sure are
16 you that this is what it's going to be. And
17 they would like for that to be also a
18 consistent message.

19 And then in looking at some of the
20 tools that we're going to present, many of the
21 stakeholders that I've worked with have talked
22 about how the tools that we currently have are
23 not specific enough, are not too scale levels.

0148

1 They need somebody who is going to capture it
2 at street level so that they can take these to
3 their local planners. They can incorporate
4 these GIS planners into some of the mapping
5 that they already have. And they would like

6 to be able to see it on a much more defined
7 scale.

8 And then, finally, as some of the tools
9 that are in progress right now are created,
10 there may be one tool that talks about sea
11 level rise and another tool that talks to them
12 about where their critical infrastructure and
13 facilities are located and another tool that,
14 you know, helps them to plan for something
15 else. And what they would really like is to
16 have all those things in one place so that
17 they have one thing that they can go to and
18 use that in their planning.

19 And, of course, as has been mentioned
20 earlier, the accessibility of that and access
21 to get to these tools.

22 So I'm just going to tell you about two
23 tools and then I'm going to turn it over

0149

1 LaDon. And there are a couple of things that
2 we have been doing here on the Gulf Coast.
3 And one of the things that we have been doing
4 is trying to help communities establish a
5 baseline for which to measure their future
6 resilience to in this case coastal storms.
7 And we call this our resilience index.

8 This is a very simple document. You
9 will see that it only contains six sections,
10 but what it does is start a conversation that
11 is very much needed, especially in some of our
12 smaller local communities. And what it does
13 is gives a community sort of a
14 self-assessment. So they take a tool that's
15 meant to be used just within their community,
16 and to take a look at, well, where are we now
17 and, you know, where are we going, where do we
18 need to be a year from now, six months from
19 now.

20 And in this particular document, the
21 way that the pilot tests have worked for this
22 is we've had these roundtable discussions
23 where we've sat down with local communities

0150

1 and we've asked them to answer questions about
2 what their storm record -- what their bad
3 storm would look like. And then what would
4 look worse than that. What would be worse --
5 you know 50 percent worse than this. We have
6 them actually establish a scenario based upon
7 events from -- based upon the worst storm.

8 And then we ask them to look at where
9 their critical infrastructure facilities are
10 located. We ask them what would happen in
11 that worst case scenario. You know, we get
12 them to talk through this sort of a series of

13 questions about, okay, now we know where our
14 vulnerabilities are. We're more so aware of
15 that and what actions can we take to help
16 reduce our vulnerability in the future.

17 Then we move on to a transportation
18 section which talks to them about their
19 priority roads and their evacuation routes,
20 things of that sort. And it's a very easy
21 yes-or-no question, but it does provide a
22 conversation. And the process of this is so
23 important. So although they get a

0151

1 quantitative score at the end, actually going
2 through and asking a lot of questions with the
3 right people in the room, all hearing the same
4 thing, has proved to be invaluable for the
5 communities in which we've worked.

6 The third section talks about their
7 community plans and agreements. Do they have
8 memorandums of understanding with other
9 communities. You would be really surprised
10 how the folks right next door may not know of
11 something, a really wonderful example of
12 something that a community next door is doing.
13 And so part of this process of facilitating
14 this is to make them more aware of what's
15 happening locally and what they may be able to
16 take from other communities.

17 The mitigation section talks about
18 mitigation from both an ecological
19 perspectives, of things like beach
20 renourishment. But also from the perspective
21 of acquisition of repetitive loss structures,
22 for instance. So it sort of runs the gamut of
23 different mitigation measures that the

0152

1 community can take.

2 And then we have a business plan
3 section which seems to be the most difficult
4 for them to fill out. And it sort of forces
5 them to be very aware of what's going on in
6 their local communities and how prepared some
7 of those local businesses would be to get back
8 up and running.

9 And then finally I have a social system
10 section which asks those questions about their
11 civic organizations and asks about their
12 church networks and are those coordinated
13 efforts. And, if so, how does that work in
14 their area.

15 And then at the end they come to
16 compile the score together and they look at if
17 they have this low, medium, or what we call a
18 high resilience. And if they're very weak in
19 one area, then we sort of go through and talk

20 about, well, what can we do to address that.
21 So, as you can see, there could be lots
22 of variables that could be added to this. But
23 in some of our local communities, just having

0153

1 asked those questions is really important.

2 And just to give you an idea, some of
3 the people that might sit at that table might
4 be your emergency operations person, and it
5 could be from the county if they decide to
6 participate with the city. It would be your
7 police officers, your fire chief. In some
8 cases we've had the mayor there, your
9 (inaudible) managers, your public works
10 director. All of these folks that on a
11 regular basis work together, but may not have
12 addressed some of these particular issues as a
13 group. And so we found that to be a really
14 effective tool and have gotten some good
15 feedback.

16 I'm just going to show you -- these are
17 the pilot communities. We have been to 16
18 different pilot communities throughout the
19 Gulf of Mexico and collected this qualitative
20 data from the index and put them into a
21 matrices and we're using that to help us to
22 strengthen the document and then to be able to
23 provide that document to all of our local

0154

1 communities.

2 And I can tell you that all of these
3 communities that have participated have given
4 their time generously and have all agreed to
5 give their -- share their case studies to help
6 other communities to sort of start or
7 facilitate that communication and dialogue
8 that really needs to occur not only within
9 their community but outside of their
10 community.

11 The other two I was going to talk about
12 today really quickly, and I just have this --
13 I forgot to tell you that there is a tool that
14 goes along with the index, because some of our
15 communities do not have all of this GIS
16 capability that some of our larger communities
17 do. And so Mississippi and Alabama, we do
18 have a tool that they can use to help locate
19 those and answer questions on the index. And
20 we're hoping to expand that because we're
21 finding that the types of resources and the
22 amount of resources have been very different
23 across communities.

0155

1 I know that earlier we were talking
2 about the uniqueness of our area. But even

3 within our communities, there's a lot of
4 uniqueness and differences in what they have
5 and what they do not have.

6 But the other tool I wanted to just
7 take a few minutes to talk about was one that
8 has been created in this past year as a joint
9 project between the USGS, NOAA, and the U. S.
10 Army Corps of Engineers, and this is called a
11 sea level rise viewer. And this takes the
12 coastal areas of Mississippi and Alabama and
13 allows you to overlay the Katrina storm surge.

14 It allows you to overlay a three-foot
15 and a six-foot sea level rise projection as a
16 visualization tool. And there's an address
17 finder so you can look up a particular address
18 with this, go down to the street level. Let's
19 you do flood frequency predictions. It lets
20 you overlay population of the area. And then
21 you can look at in several different ways,
22 like through the satellite imagery that you
23 see here. You can look at through a street

0156

1 map, a topo map, or a shaded relief map. But
2 the blue here indicates the areas that are
3 vulnerable for potential flooding into those
4 levels of sea level rise.

5 And last March we held a stakeholder
6 session where we had members of various
7 private sector, state, federal, local
8 stakeholders to take a look at some of the
9 issues surrounding sea level rise and ask them
10 what they would like to see in a tool, and
11 then we generated this tool is a result of
12 that.

13 And then last October we invited them
14 all back again and asked them for some
15 feedback on how to strengthen this. And it
16 was interesting to have folks from the
17 insurance field there and to talk about how
18 you could add wind and other things into the
19 same viewer, again, hitting multiple variables
20 but into one tool so that you could see the
21 big picture. Being able to shift predictions.
22 You know, what would have happened if Katrina
23 had hit this far east or this far west. And

0157

1 just having that functionality was really
2 important to the audiences that we were
3 dealing with.

4 So I have put the address up here if
5 any of you are interested in taking a look at
6 that viewer and offering feedback. I'm going
7 to let LaDon talk about the other projects
8 we've got going on.

9 DR. LADON SWANN:

10 Advanced technology always challenges
11 me, though I have been working with it for a
12 long time.

13 I have spent the better part of my
14 career teaching adults one topic or another.
15 And one thing I've learned is that teaching is
16 mostly listening and learning is mostly
17 talking. I think that really ties into a
18 couple of things that we are looking at doing.

19 One, first is a climate community of
20 practice that we will be rolling out in April.
21 We have been planning on this for the last six
22 or eight months. This overarching goal for
23 this is very simple. We want to see every

0158

1 community that has a comprehensive plan to
2 include some sort of climate adaption section
3 to that plan.

4 So that's -- that's difficult. We
5 believe of a goal, to achieve that goal, may
6 be very difficult. I mentioned earlier about
7 the different states of change. And, you
8 know, one of things that we're struggling with
9 is finding communities right now in the Gulf
10 of Mexico that are somewhere beyond
11 contemplation. They are actually planning or
12 conducting some sort of action, but we have
13 found some. I am sure there are others out
14 there.

15 So we believe that working with the
16 research community, working with extension,
17 outreach, and education staff from not only
18 Sea Grant but from the many programs that
19 mirrors others, university programs, that we
20 provide the tool kit that will allow them to
21 make the decision to begin that contemplation
22 and even planning process.

23 Some of the measures assessed are

0159

1 really internal and external. Even the
2 outreach staff are at different levels on the
3 states of change. We have professionals in
4 the Sea Grant network across the Gulf that
5 probably don't believe that sea level change
6 is happening. So it's pretty hard to ask them
7 to go in and work in a community right now,
8 when they may not believe it themselves.

9 So some of the -- another goal is to
10 provide that sort of in-reach to them.
11 Provide them with the right sort of tools that
12 they can use themselves, internalize, to make
13 a decision. And then the second part, as I
14 mentioned earlier, is to go in and work with
15 those communities. So that's the one.

16 I think this community of practice

17 brings together a lot of the things we have
18 been talking about: Regionalization, making
19 it place based, those sorts of issues that we
20 need to grasp to get communities to where they
21 need to be.

22 And, obviously, that ties in very
23 nicely with the resiliency team of the Gulf

0160

1 States Coast Alliance as well as some of the
2 other things that Sea Grant and other
3 NOAA-funded programs are doing.

4 I will mention this, that we all saw
5 that the NOAA drew certain analysis climate
6 service. Sea Grant has more focus here, as we
7 are healthy coastal eco systems, as a
8 resilient coastal communities, safety and
9 sustainable seafood, and sustainable coastal
10 communities.

11 There's been great debate on whether we
12 should add a climate focus team, but if you
13 think about those focus teams that we have,
14 focus areas, you will realize that climate
15 cuts across each one of those.

16 For example, one degree of sea level
17 rise over in the Cedar Key area, where they
18 raise a lot of hard clams, would probably --
19 in fact, definitely would affect their growing
20 season, but also would affect where they might
21 grow clams. So climate change is pervasive,
22 and the things that Sea Grant does are things
23 that we all do.

0161

1 So if you look through our strategic
2 plan, you probably won't see an area for
3 climate and that's because it cuts across
4 everything.

5 Which really ties into the second one.
6 Ms. Coffee, you probably recall that you were
7 asked to represent America's Energy Coast on
8 the Climate and Resiliency Regional Panel.
9 That's a panel Gulf-wide, Gulf of Mexico
10 panel, that's being rolled out by the NOAA
11 Regional Collaboration Team. Sea Grant is
12 helping to facilitate that.

13 I felt really good about this until I
14 saw that one of the primary recommendations
15 from California was to set up a panel.
16 Someone did this. In Alabama and Mississippi,
17 things that come out of California, we always
18 take with a grain of salt. But I do think
19 they got that right. So we're very excited
20 about this. It does involve industry. It
21 involves federal and state agencies, local
22 agencies. It involves non-profits and
23 universities.

0162

1 All right. Kind of give you an idea of
2 what we hope to do. It's a panel that we want
3 to use to improve NOAA's products and services
4 that come from the Gulf of Mexico. We also
5 hope that there is a secondary benefit, that
6 this network and opportunity among those
7 people to discuss climate resiliency related
8 issues will have the benefit -- a benefit to
9 those individuals as well.

10 That's really all I have to add to
11 that. And, for the record, I did say that I
12 didn't need to talk, that Tracie could do a
13 fine job, and we're trying to overlay with Sea
14 Grant being here today.

15 MR. VAL MARMILLION:

16 Thank you very much. Are there any
17 comments at this point? We'll move on. Thank
18 you for your patience. Julie, we're looking
19 forward to hearing from you.

20 MS. JULIE HARRISON:

21 So one of the things I'm going to talk
22 about today is -- well, in the brief time I'm
23 going to talk about today is using energy

0163

1 efficiency to combat climate change and how --
2 what are the most effective policies.

3 And so I thought I would begin first by
4 talking about exactly who SEEA is. We are a
5 pretty young organization. We encompass the
6 11 southeastern states. And what's so
7 interesting about the southeast, as Sidney was
8 saying earlier, just in this region alone,
9 there are so many energy resources. And then
10 we've got Kentucky filled with all their coal
11 resources.

12 But then we have states like Georgia
13 that has basically absolutely no energy
14 resources. Traditional. They have no
15 national gas, no petroleum, and no coal.

16 So it is a very interesting region. We
17 also, as I'm sure some of you know, have some
18 water wars going on, based -- so much about
19 water -- those water issues are based on the
20 need for the water for power generation. And
21 so it's a very, very interesting region and
22 it's facing a lot of issues when it comes to
23 power.

0164

1 So at SEEA, we work with state,
2 federal, and local governments -- state energy
3 offices, governors' offices -- and also we
4 work with the private sector and utilities.
5 In fact, I used to work at the Georgia State
6 Energy office, and I read one of the early

7 drafts of Tom's research. It was very
8 interesting and how it was -- gave comment on
9 that.

10 Anyway, so going back to energy
11 efficiency, one of the easier spans, as Tom
12 was showing in his North Carolina slide was
13 that energy efficiency cannot only combat
14 climate change, but it also creates jobs and
15 saves money. So it's a very -- it's a great
16 all-around solution.

17 Unfortunately, most of the time when
18 you say energy efficiency to people, their
19 eyes sort of glaze over. Sometimes they back
20 away. They get very bored easily.

21 And so it is a topic where education
22 and getting the word out is very, very
23 important. So recently SEEA has partnered

0165

1 with Georgia Tech and Duke and Oak Ridge and
2 we have done an enormous research project
3 about energy efficiency policies and which
4 energy efficiency policies would be the most
5 effective for the southern states. And we
6 began by looking at over 200 different energy
7 efficiency policies and practices. And we
8 then narrowed those down to 12. And then from
9 there we narrowed it even further down to
10 nine.

11 And what we have done with these
12 policies is we've tried to look at the ones
13 that we felt were from a benefit cost analysis
14 the best ones and also that we felt in the
15 political climate and the economic realities
16 of the south would be the most effective,
17 would be the most realistic.

18 So what we found with these energy
19 efficiency policies -- and I will get to the
20 specific policies in just a minute. We found
21 that there was a 1 percent -- you could reduce
22 your energy consumption by 1 percent annually
23 over 10 years using these energy efficiency

0166

1 policies. And you look at the graph, that top
2 blue line is from EIA's reference case and
3 their projection for energy consumption for
4 the southeast.

5 And when I'm talking about that area,
6 it's looking at the 16 states, not just the 11
7 states that SEEA overlooks. But if you looked
8 to the energy efficiency policies, you can see
9 that it keeps our energy consumption basically
10 the same. And so that is a very good thing.

11 So energy -- and if you look at this.
12 I'm not sure how well you all can see this.
13 But the south is responsible for a lot of

14 energy use, but our potential is one of the
15 greatest across any other region.

16 So energy efficiency policies that we
17 specifically looked at are these. And we
18 looked at -- we found that the most
19 effective -- the area where the most, the
20 largest change could occur from the energy
21 efficiency polices was in the commercial area.
22 And there were a couple of surprises that we
23 found in some of the different areas.

0167

1 But in the commercial ones, tighter
2 commercial appliance standards had the largest
3 impact followed by the commercial retrofit
4 centers. And we originally had another
5 commercial policy, and there we had commercial
6 building codes, but we found that since --
7 that with our modeling, it didn't -- the
8 cooling and heating aspects canceled each
9 other out, so we ended up taking that out.

10 But with the residential, we found that
11 the most effective, largest one, was the
12 residential retrofit and equipment standards.
13 And then with industry, we found that the
14 industrial process improvements were the
15 largest chunks. So I don't know how much you
16 all can see this.

17 But we found that in terms of both
18 present and energy reductions actually
19 decreases in energy is greatest in the
20 commercial building and the least in
21 residential buildings. And this doesn't mean
22 that residential policies of energy efficiency
23 don't -- aren't a good idea and don't work.

0168

1 We just found from a standpoint of the largest
2 impact.

3 For example, we found that with low
4 income weatherization programs, those have a
5 large benefit. The costs, I think -- I think
6 the benefits are two times the amount of
7 public and private investment into that.
8 However, that's only a small sector, because
9 it doesn't do -- it only does low income. And
10 so that's why it doesn't have such a large
11 percentage when it comes to potential of the
12 impact.

13 But, as you can see, if you look at the
14 industrial area, the biggest one was the
15 process improvements. They have the potential
16 to generate more energy savings and
17 assessments of planned utility upgrades or
18 incentives that combined heat and power.

19 And then when it came to the
20 commercial, the commercial appliance standards

21 are estimated to have the greatest impact.
22 And then with residential, you'll see that
23 retrofit incidence and (inaudible) standards.

0169

1 This just shows the electricity and
2 natural gas bill savings per capita. If you
3 look at it, you can see the specific states.
4 It's a huge chunk that can be achievable.

5 And then this is one of the -- these
6 studies have been a three-stage process. And
7 the first sort of study that came out was the
8 investment in Appalachia, and that did not
9 include Louisiana and Texas, but it did
10 include Mississippi and Alabama. But we found
11 that these are the jobs and the wages that can
12 be created and generated by energy efficiency
13 investment.

14 And then are there any questions or
15 comments? I tried to fly through that.
16 Sorry.

17 MR. VAL MARMILLION:

18 Well, I'd like to open questions now to
19 this panel. If there are any specifics and
20 then generally -- general comments about where
21 we take this information, literally where we
22 take it, this meeting that we will have in
23 May, at the end of May to the America's Energy

0170

1 Coast's Leadership Forum, where there will
2 likely be a report of this session and then
3 recommendations for some regional action based
4 on what we have heard and been able to find.
5 So any comments that, just generally -- you
6 had one.

7 MS. WOOD:

8 So I'd like to go back to the second
9 panel and just ask. It sounded like in the
10 northeast a cap and trade program has been
11 completed; is that correct? And it wasn't
12 clear to me in the Western Climate Initiative
13 whether the cap and trade program had been
14 implemented or if they were just in planning.

15 But I wonder what the experience is
16 where they have been implemented regionally.
17 What are the -- I mean, there's a lot of
18 concern about impact to the economy and impact
19 to businesses and such as that, but what is
20 the experience that they're having in the
21 northeast (inaudible) based on what you know?

22 MR. PAT HOGAN:

23 Yeah, well, so again the Regional

0171

1 Greenhouse Gas Initiative has only been up and
2 running for a little over a year, but I
3 haven't seen anything that's talked about

4 really noticeable, adverse economic
5 consequences. I think if there have been any
6 increases in electricity prices, they have
7 been really minimal.

8 Part of that is due to a number of
9 factors, including fuel switching before the
10 program got up and running essentially and
11 sort of unexpected changes in winters over the
12 past couple of years. The initial cap is a
13 little above what they actually thought they
14 would need. So at the moment, the allowance
15 price is selling fairly low, around three
16 dollar allowance, and that will change over
17 time. The real reductions don't really kick
18 in for another five years or so.

19 But today I think they've found it's
20 very successful from the standpoint of
21 avoiding and (inaudible). And in fact by
22 recycling those revenues back into things like
23 energy efficiency, I think it's very

0172

1 reasonable to expect (inaudible) and realize
2 cost savings over the next several years.

3 In terms of where the Western Climate
4 Initiative is at, they've completed their
5 overall general design -- uh-huh. Go for it.
6 MS. JANICE ADAIR:

7 The WCI program is not running and
8 isn't scheduled to be until 2012. We will
9 start with electricity in industrial sources
10 and then bring in transportation in 2015. But
11 only California and the four Canadian
12 provinces have the necessary authority at this
13 time to operate that program. The rest of us
14 still need to do something with our
15 legislatures to get that approval.

16 So most of us are looking at 2011 to do
17 that, though we recognize that some states
18 won't even come in in the very beginning. And
19 it's different from RGGI. There's carbon
20 dioxide from electricity. Ultimately, our
21 some smaller greenhouses gases, all sources.
22 So it's fairly (inaudible). And the other
23 thing that's important is the federal

0173

1 legislation that is pending places a
2 moratorium on all states and regional cap and
3 trade programs. So should there get to be
4 energy underneath either of those bills again,
5 that's going to dictate what happens in the
6 states that don't have authority.

7 And we will have to balance the pain of
8 trying to get it with the actual ability to
9 use it. If we're going to be suspended for --
10 I think it's seven years if we had

11 legislation. We will have a moratorium on it.
12 MR. VAL MARMILLION:

13 Your group, the carbon sequestration
14 issues or the carbon (inaudible) issues with
15 restoring coastal wetlands and (inaudible) are
16 a viable option and what will it take to
17 understand how viable it is to be part of a
18 package in this region for addressing some of
19 our carbon issues. Torbjorn.

20 DR. TORBJORN TORNQVIST:

21 Well, you bring up a very interesting
22 issue, and we'll see if Robert agrees with me,
23 but my take on this is that it's -- it's

0174

1 something that may have potential, but we know
2 extremely little about. But it's obviously
3 something that should be a very high research
4 priority to better understand what is the
5 capability of the coastal zone here on the
6 Gulf Coast in sequestering carbon, and in
7 particular what could we potentially do in the
8 future on east coastal restoration to further
9 enhance that.

10 Now, I certainly don't have an answer.
11 My gut feeling is that coastal restoration
12 could certainly help in sequestering carbon,
13 but how effective would it be in the grander
14 scheme is something I really don't know. But
15 it is certainly something we need to know.

16 DR. ROBERT TWILLEY:

17 It would be very interesting to look at
18 when you have a large delta and you have a
19 geologic framework that Jeff was talking
20 about, you really need to sum these up,
21 because we need to have some real -- we
22 actually took the Soil Science Conservation
23 District data, all the organic matter, soil

0175

1 content across the state of Louisiana or in
2 the coastal parishes and, actually, I think,
3 took \$12 a ton on CO2 and came up with about
4 \$150 million a year program.

5 And so it's quite substantial. That
6 assumes -- that has huge assumptions in it
7 related to what the potential is of soil
8 development in this region. But it's
9 something that I know that is in the state
10 master plan that they're revising right now.
11 And in the original plan to be in the center,
12 that we that we need to look at in our region.
13 And there's actually action moving forward to
14 sustain those -- develop those numbers.

15 DR. TORBJORN TORNQVIST:

16 I agree with Robert that there's no
17 doubt that there's an enormous amount of

18 carbon in the active soil throughout the
19 coastal zone right now. I think the big
20 question is how much of that can potentially
21 actually stay there. Of course, there's a lot
22 of cycling going on and a lot of that goes
23 back into the atmosphere as CO2. The real

0176

1 issue is going to be how much can we actually
2 really capture and store away.

3 DR. GEORGE CROZIER:

4 I think it's a very interesting
5 question and it also points out the
6 differences between the states in the sense
7 that Mississippi and Alabama's wetlands and
8 coastal areas are miniscule compared to
9 Louisiana's. And how that would be worked
10 out, I'm not quite sure, but my reaction would
11 be that carbon sequestration are two words
12 that never occurred in Montgomery, Alabama.

13 MR. TOM PETERSON:

14 Of course, there's also the plant
15 carbon and terrestrial carbon sequestration,
16 and that has been a very important
17 recommendation that has come out of some of
18 the southern states and most other states in
19 the country.

20 And I guess a couple of helpful things.
21 First, the numbers on those options to protect
22 land from being permanently lost or recovered,
23 et cetera, are pretty favorable, both in being

0177

1 low cost, and the macroeconomics of that are
2 expansionary. This is net profit in terms
3 jobs, growth, et cetera. And it gets to
4 protecting the working land base, et cetera.
5 Gets to protecting the energy supply source,
6 for instance, in cellulosic and cellulosic
7 ethanol. So there are a number of things that
8 converge here.

9 It's also really kind of ground zero in
10 terms of the United States for the protection
11 of land carbon because the latest set of
12 projections, business as usual, are that
13 nationally, by, gosh, I don't know whether
14 it's 2025 or some such, we lose 44 million
15 acres of land -- of forest land permanently.
16 30 million of that is lost in the south alone.

17 So there's, you know, the notion of a
18 30 by 30 thing, trying to protect 30 million
19 acres by 2030, but otherwise this number goes
20 (inaudible). And, again, circling back to the
21 prospering in a carbon constrained economy
22 notion, those things actually can work
23 economically as ways that are expansionary.

0178

1 And I think it was noteworthy in
2 Copenhagen for me the amount of unfinished
3 business that was left on the table. That one
4 thing that did get done there is the
5 forestry -- the so-called REDD agreement. And
6 it has an interesting history, which I think
7 is important to keep in mind here. And that
8 is when the forestry issue was first raised 10
9 or 12 years ago, when I working out in Kiev,
10 the reaction was it's too complicated. All
11 this business of land carbon and all that kind
12 of stuff, they said it's too complicated to
13 deal with. Lo and behold, now, it's the first
14 international (inaudible) based agreement out
15 of the gates that is now a part of the formal
16 agreement by signatories going forward.

17 So they, you know, have really seen
18 that this is something that can work. It's
19 been nailed down at the international level.
20 I expect that at the national level we're
21 going to see a lot more support for this. The
22 U. S. Geologic Survey is putting in place a
23 national methodology for this and piloting

0179

1 around regions, including this specific
2 four-state region, and other places in the
3 country. So I would just draw attention to
4 that as something that's emerged as a pretty
5 opportunity in this region.

6 DR. ROBERT TWILLEY:

7 Coupled with that, when we did our Gulf
8 Coast climate change work for the Ecological
9 Society of America and the Union of Concerned
10 Scientists -- in fact, this came out in 1999,
11 2000. One of the striking statistics that
12 came out of that report is the private land
13 ownership for forest in the southeast, which
14 everyone knows. But also you combine that
15 with the fact that in our delta, the coastal
16 landscape that I just talked about is also
17 privately owned.

18 So to really -- so the behavior of how
19 you factor in carbon sequestration is going to
20 be the economics that have to be translated to
21 the private landowner and not the large, you
22 know, corporate entities or federal lands or
23 things like that, out in the west or, you

0180

1 know, other regions of the U. S.

2 It's going to be the individual, and
3 that has huge opportunities, I think. Some
4 people say, well, gee, how are you going to
5 manage this landscape. I looked at it and
6 said what a great opportunity. But you've got
7 to get it on the individual basis and not

8 these big corporations.

9 MR. JEFF WILLIAMS:

10 I just wanted to kind of highlight what
11 Tom was talking about and what you were
12 getting at, because there's a real nexus, I
13 think, between sequestration and adaptation
14 that comes here, you know. You know, these
15 wetlands are vitally important, giving us
16 protection from storm surge, an integral,
17 important part of adaptation. But it's also,
18 I believe, a really important capacity for
19 mitigation that will hold the overall cost of
20 mitigation down.

21 We have looked at studies of what it
22 would cost to do a cap and trade program
23 without offsets, and it makes a big

0181

1 difference. So if you combine what needs to
2 be done down here in the south with the need
3 to mitigate, the need to adapt, I firmly
4 believe that even if we're wildly successful
5 in mitigating emissions, greenhouse gas
6 emissions globally, that there are still
7 adaptation vulnerability that we need to deal
8 with down here. They're all integrated.
9 Hopefully, it will be a lot cheaper to do the
10 adaptation with the mitigation.

11 But I think it needs to be an integral
12 part of the supply solutions that we have.
13 That's a unique opportunity down here. If we
14 could, you know, rebuild wooded wetlands, get
15 carbon credits for that, provide storm surge
16 protection, that's a real (inaudible).

17 MR. VAL MARMILLION:

18 And what recommendations do any of you
19 have in the next three months as we look at
20 this. Really, what we're hearing is that this
21 region is confronting great loss because a lot
22 of the policy recommendations are about the
23 producer and not the consumer. We know how

0182

1 many producing states there are. We know
2 where they're located. And how do we deal
3 with that issue in this region.

4 These political folks are going to pay
5 much more than anyone else because energy is
6 produced in this region. What recommendations
7 can this region make to its policymakers on
8 that question?

9 MR. LaDON SWANN:

10 I certainly think education is the key
11 in this, and it's not education in grade
12 school or a university. It's more so for
13 marketing. There is a fundamental level of
14 knowledge that everyone in the Gulf needs to

15 have about what climate change is. And I
16 don't know what level that is, but that's
17 certainly something that we haven't pushed.

18 We talked about storing carbon. And if
19 you believe what you read, we make the vast
20 improvement. So if we're talking about
21 storing carbon, that might help us 100 years
22 from now when we're all dead and gone. So
23 what sort of adaptation do we need to

0183

1 implement right now with coal (inaudible).

2 It's really two different things I'm
3 hearing here. Certainly the science that
4 supports all that is very important, but we
5 have to be very pragmatic in how we address it
6 at the local level. And I think we don't have
7 that level of understanding of what it is.

8 MR. VAL MARMILLION:

9 Yes.

10 MS. JANICE ADAIR:

11 One of the challenges that we have
12 faced within all the states of the WCI and
13 then also just in Washington by itself is I
14 think all the states have that belief at some
15 level, that they are going to end up paying
16 more than someone else or than they should or
17 than their contribution -- you know, pick your
18 word, but everybody has got some sense of it.

19 And it seems like all the states have
20 some sense about we are uniquely vulnerable,
21 you know, for any variety of reasons, and it
22 probably goes to the diversity of our country,
23 that we probably all do have all sorts of

0184

1 vulnerabilities.

2 What we have tried to do is always put
3 those two things in the same conversation.
4 Because I don't think you can fairly talk
5 about the costs that you bear for reducing
6 your emissions without also looking at the
7 costs that you will bear sooner for having to
8 deal with the impacts.

9 And those are very broad costs. And
10 they can probably be quantified -- at least we
11 found in Washington, they were easier
12 quantified than to quantify the cost of trying
13 to take out, to just reduce greenhouse gas
14 emissions. I mean, certainly, we have our
15 economic analysis. Tom was very instrumental
16 in getting our first one done. We have since
17 gone back and refined it.

18 WCI has had an economic analysis done.
19 But the work that we had done by our climate
20 impact group at the University of Washington
21 is very good information. And when people see

22 that, it does get their attention in a way
23 that all of the talk around mitigation just

0185

1 hasn't been able to do.

2 And we were able to bring it down to a
3 household cost. The per family cost in
4 Washington state for the impacts of climate
5 change are \$1,268 a family. And we know that.
6 And it's pretty easy to quantify and it's
7 pretty easy for people to understand.

8 MR. TOM PETERSON:

9 I just have to chime in. I agree with
10 Janet. I think that also in terms of
11 recommendations, I would go back to the
12 southern governors in kind of a before and
13 after, it was my understanding. Because the
14 before is and was, rather, a pretty common
15 mind-set, not just among governors, but really
16 among stakeholders, and that is that fixing
17 this problem is all about facing pain and
18 trying to minimize it and trading pain. It's
19 not about gain and the race to the top and the
20 ability to come out on top by doing smart
21 things.

22 The reality is you can't be Pollyannish
23 issue about that. It's hard work. You have

0186

1 to be expert. You have to go through a very
2 diligent process to be able to identify the
3 things that aren't going to work well and
4 identify the things that will work well.

5 But the good news is that there are a
6 whole bunch of things that can. And so I
7 think that if you can get over that hump, then
8 the next thing that happens is that forward
9 movement about chasing down the things that
10 are win-wins now that can be an initial basis
11 and a platform for subsequent steps that will
12 follow. But you have got to get over that
13 first hump.

14 And I would just say in the last couple
15 of years, the effect of the recession on this
16 country right now is profound and we are not
17 within the norm of public concern about
18 economic impacts. And so Janice was
19 mentioning household impacts. I think we're
20 now in the arena where we actually not only
21 have to do household impacts, but we have to
22 lay policies out really in terms of their
23 community level impacts. Because people are

0187

1 asking in any given community, okay, that's
2 fine. You gave us this big thing, but what
3 does it mean back here. So the bar has really
4 been raised.

5 But I do think you do need to get over
6 that first hump, and the good news is there's
7 ample evidence that you can. And there's work
8 that can follow, and it seems to me that's the
9 show stopper right now.

10 MR. VAL MARMILLION:

11 Any other comments?

12 DR. ROBERT TWILLEY:

13 I will just say in following those two
14 comments -- and I'm not aware of it and it may
15 be out there, but I'm not sure whether if you
16 take the four states, the AEC group, where is
17 the analytical evidence on the margins by
18 which you can even have this discussion, and,
19 you know, as to what the cost of doing nothing
20 versus the cost of various strategies. And
21 right now, all of the message is what we're
22 hearing, which is, you know, it's a cost that
23 we can't do anything.

0188

1 And so somewhere we need to generate
2 that within our region. That's got to be a
3 part of the dialogue. Because right now,
4 there's just one message we're hearing.

5 MR. JEFF WILLIAMS:

6 (inaudible) Every study I see, energy
7 efficiency is just low-hanging fruit. It
8 makes a lot of sense. This policy has a lot
9 of things that have to get worked out to
10 really go after it in a big way. But if we
11 could kind of take the state-by-state approach
12 and develop a supply curve of those things
13 that can be done and stack it up with those
14 things that we need to do for the future, I
15 think we can begin a discussion over how do
16 you position yourself as a state, as a region
17 to make this transition that's coming. And I
18 think there's a lot of promise for that.

19 DR. ROBERT TWILLEY:

20 As a group we need to focus.

21 MR. TOM PETERSON:

22 Well, you know, again, we're happy to
23 carry forward what we can from the initial

0189

1 body of work, because it actually has the
2 state-by-state breakdowns in it, so there's a
3 well that you can go back to there.

4 And I do think there's a lot of
5 evidence that is already in hand. The other
6 thing, though, just to bear in mind, again,
7 one of the big things that these guys want to
8 help with it and it's an enduring issue is
9 that they're hearing fairly different things
10 from different groups about how much this
11 whole issue costs them back home. And when

12 you actually take a look at it in black and
13 white and sort of break down the way we did it
14 through this meta analysis, what exactly is
15 driving the outcomes of all these studies.

16 Then you can begin to sort out fact and
17 fiction, and they get a whole lot more
18 comfortable with the arena of things they can
19 start to work on and some other things that
20 are not.

21 And so we did spread that out and
22 looked at some of those things. But I know
23 that the headlines are grabbing bad news

0190

1 pretty quickly. But when you look at what's
2 underneath some of those headlines, and when
3 they've had a chance to look at them, it's
4 another story. So there's another process,
5 which is all about a little bit of
6 transparency that might be helpful there, too.

7 MS. JULIE HARRISON:

8 I do know that -- I wasn't able to
9 bring these slides with me because this study
10 is going to be published probably within the
11 next two months. But in our analysis, we did
12 do a state-by-state analysis of individual
13 policies and which ones would help them lessen
14 their energy consumption. And so we looked at
15 each of those issues and then projected it
16 over to 2030.

17 MR. VAL MARMILLION:

18 We can have that?

19 MS. JULIE HARRISON:

20 Yes. I can't give it to you now, but
21 for right now, actually, we're in the draft
22 mode. But when it is (inaudible), right.

23 MR. VAL MARMILLION:

0191

1 Okay. I am going to close out my part.
2 Sidney, do you have anything? And then I'm
3 going to turn it over to our co-chairs to
4 round out the discussion and close the meeting
5 with our thanks to the sponsors who always
6 allow us to meet and pull these sessions
7 together.

8 MS. SIDNEY COFFEE:

9 I just want to thank everyone and for
10 your input. We have already been getting
11 requests for any of the copies of your
12 presentations and we would like to be able to
13 put those on our website and offer them to
14 folks who want them. I have had several
15 requests just today.

16 MS. HEATHER HOLSINGER:

17 And I just wanted to say really quickly
18 I was struck by a couple of things today.

19 First of all, the good work that is being done
20 by all of the great experts in this region,
21 the scientists and business community and also
22 practitioners.

23 I was also struck by what Val said

0192

1 earlier about how this region is really
2 suffering both from the impact and also from
3 potential legislation about to come out of
4 Washington. So I think it's a tremendous
5 opportunity to really come together and do
6 some hard work to make really proactive and
7 constructive suggestions to D. C.

8 And I think if we can do that hard
9 work, they'll listen to us because they don't
10 have to do that hard work. So if we can just
11 pull together heading to Galveston. Great
12 attitude.

13 MR. GARY SERIO:

14 I just want to again thank all the
15 panelists who participated in a wealth of
16 information that you provided. It was
17 enormous. And I keep up with climate change
18 almost daily. It never fails when I come to a
19 session like this and I learn things that I
20 never knew before, and that's what we need to
21 do.

22 As Val mentioned earlier, we will
23 codify the information that has been put on

0193

1 the table today in a report. Each of the
2 panel members will be getting a copy of that
3 draft report, so we have not presented it as
4 intended to be. We will change that before
5 the final report is delivered on May 26 in
6 Galveston.

7 We also extend a courtesy invitation to
8 anyone to meet us in Galveston on the 26th.
9 You don't need a special invitation from us to
10 be there and kind of see what the efforts of
11 this hearing kind of bear. So thank you so
12 much for making the trip and making this
13 session worthwhile. It really added value to
14 our process to work climate change, so thank
15 you.

- - -

16

17

18

19

20

21

22

23

0194

1

CERTIFICATE

2 State of Alabama:
3 County of Baldwin:
4 I, Karen S. Snell, Certified Court
5 Reporter and Notary Public for the State of Alabama
6 at Large, do hereby certify that the above and
7 foregoing proceedings were reported by me at the time
8 and place hereinabove set forth; that said
9 proceedings were thereafter reduced to printed form,
10 as per the foregoing transcript; and that the same is
11 a true and correct transcription of my shorthand
12 notes then and there taken and were completed
13 without adjournment.

14 I further certify that I am neither
15 related to, employed by, nor of counsel for any of
16 the parties or attorneys herein, nor am I otherwise
17 interested in the outcome of the within matter.

18 Dated this 9th day of March, 2010.
19 My commission expires June 6, 2011.
20
21

21 Karen S. Snell, CCR
22 ACCR No. 197
23