

1

2

3

4

**INNOVATIVE TECHNOLOGY FOR ENERGY AND ENVIRONMENTAL**

5

**SUSTAINABILITY FOR AMERICA'S ENERGY COAST HEARING**

6

7

8

9

10

\* \* \* \* \*

11

12

**September 30, 2009**

13

**1:30 p.m. - 5:00 p.m.**

14

**InterContinental Hotel, Cabildo Room**

15

**New Orleans, Louisiana**

16

17

\* \* \* \* \*

18

19

20

21

22

23 **REPORTED BY:**

24

**LAINY B. MARGAVIO, CCR**

25

**Certified Court Reporter**

1

2 LEADERSHIP PANEL PARTICIPANTS:

3

4 Henri Boulet, LA 1 Coalition

5 Sidney Coffee, America's WETLAND Foundation

6 Mark Davis, Tulane University

7 Ted Falgout, Port Fourchon

8 Sandi Fury, Chevron

9 Karen Gautreaux, The Nature Conservancy

10 Chris John, Louisiana Mid-Continent Oil and Gas Assoc.

11 Fiona Hanrahan, Chevron

12 Mark Hurley, Shell

13 Mary Margaret Hamilton, Shell

14 Val Marmillion, America's WETLAND Foundation

15 Simone Maloz, Restore or Retreat

16 Ben Moss, Louisiana Department of Insurance

17 Fred Palmer, Shell

18 Dean Peeler, Alabama Petroleum Society

19 Tina Shumate, MS Department of Natural Resources

20 Robert Twilley, LSU

21

22

23

24

25

1		
2		
3	<b>Caption</b>	<b>1</b>
4	<b>Participants</b>	<b>2</b>
5	<b>Hearing</b>	<b>4</b>
6	<b>Reporter's Page</b>	<b>148</b>
7	<b>Reporter's Certificate</b>	<b>149</b>
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1                   MR. HURLEY:

2                   First of all, I want to thank you very much  
3 for attending. My name is Mark Hurley. I'm president  
4 of Shell Pipeline. And I want to welcome you to our  
5 conference that we have called Innovative Technology for  
6 Energy and Environmental Sustainability for America's  
7 Energy Coast. And I wasn't sure if I was going to  
8 memorize that whole thing or not, but I got through it.  
9 It's a long title and it's a very important subject, so  
10 thank you very much for coming and thanks to those who  
11 are both coming to listen and to testify today.

12                  The work that you are going to hear has grown  
13 out of an initiative that we call America's Energy  
14 Coast, and you see the branding for that around the  
15 room. And I'll say a little bit more about America's  
16 Energy Coast in a minute. But one of the things that we  
17 did when we formed this group, which is all about  
18 sustainability, is that we identified the critical  
19 issues that exist for the four Gulf Coast states in  
20 looking at the sustainability of the region into the  
21 future. And one of those issues was around domestic  
22 energy security. And so we assigned task forces to each  
23 of these critical areas. And the work that you are  
24 going to hear today is the work that has come out of  
25 this task force. And so it's exciting work. Energy

1 technology and technology for sustainability, in  
2 general, is a very critical area, and so it's one of the  
3 more important pieces of work that we have done and we  
4 are very proud to bring it to you.

5           America's Energy Coast, for those of you who  
6 are not familiar with it, is a group that brings  
7 together a very diverse set of stakeholders along a four  
8 state region that includes Texas, Louisiana, Alabama and  
9 Mississippi. And our focus is on sustainability of this  
10 region and recognizing the importance of this region to  
11 the energy security of the United States.

12 Representative of the group are members of industry like  
13 Shell and Chevron and others, along with federal, state  
14 and local governments and various groups from the  
15 community that represent interests, such as  
16 environmental preservation, navigation, recreation,  
17 cultural sustainability. And so it's a group that  
18 historically may not have agreed on everything. We may  
19 have agreed on very little, but we have come together to  
20 really find common ground and find solutions for the  
21 sustainability of the region.

22           We have only been together for two years, but  
23 I'm very proud of the accomplishments that we lay claim  
24 to. We have issued an accord for sustainability that  
25 really kind of lays out a framework for sustainability

1 for the region. We have put together an action plan or  
2 an action framework to put more specific plans in action  
3 around how to go forward and who to engage and things  
4 that have to be done. We recently issued a report on  
5 conflicting federal policies because when you get into  
6 the area of coastal restoration, you quickly find that a  
7 number of federal policies conflict with one another,  
8 and those things stand in the way of making progress and  
9 stand in the way of restoration of the coast. We have  
10 issued a number of resolutions. One of those was around  
11 the use of the Harbor Maintenance Trust Fund; another  
12 was around the preservation of culture along the coast.  
13 Cultural preservation is a critical issue for us because  
14 as the coast erodes and washes away, unfortunately much  
15 of the culture goes with it, and so we issued a  
16 resolution around the preservation of that culture,  
17 which is unique, of course, to Louisiana.

18 Shell has been a part of this, the America's  
19 Wetlands Foundation, and a part of America's Energy  
20 Coast for a number of years, as have a number of other  
21 companies, and we appreciate that participation. We  
22 donate our resources, our technical know-how, our  
23 financial resources, the time of our people and so  
24 forth; and so do a number of other stakeholders. And so  
25 I thank you out there for those of you that do that.

1           Onto the presentation for today, the domestic  
2 energy security task force is headed up by two  
3 co-chairs; one, Karen Gautreaux of The Nature  
4 Conservancy; and Sandi Fury of Chevron. And at this  
5 point, I will turn it over to Sandi.

6           MS. FURY:

7           Thank you, Mark. As Mark mentioned, I  
8 serve as co-chair of AEC's domestic energy security and  
9 development task force, along with my co-chair, Karen  
10 Gautreaux. I'm with Chevron and Karen is with Nature  
11 Conservancy, and I think the partnership has been a  
12 great one and I think it's been particularly valuable  
13 because I think as we look forward toward the future  
14 energy security in this nation, sustainability is only  
15 going to happen if we can actually build the belief that  
16 this industry can work in concert with the environment.  
17 So our partnership on this task force has been very  
18 valuable to me. I have learned a lot and I think  
19 together working this issue, I think we will be able to  
20 bring a lot to the table on those issues and how that  
21 you have to work together to be sustainable into the  
22 future.

23           I think I can state for both of us that the  
24 testimony today will give us much needed information  
25 toward achieving the goal of sustainability of this rich

1 and diverse coastal region. All of us in the room  
2 understand that the energy coast here is a working  
3 coast; the coast from Texas, Louisiana, Mississippi and  
4 Alabama. It's a working coast that has unique energy,  
5 environmental and economic assets that not only serve us  
6 here, but serve the nation. And even with severe  
7 challenges to sustainability, it's important to the  
8 future it can't be undermined or misunderstood.

9           Right here is where we need to continue to  
10 build capacity in science and engineering. If you think  
11 back to the past, much of what has happened with energy  
12 development globally actually was seeded here in this  
13 region years ago. So thinking forward that this region  
14 will continue to play in building that capacity in  
15 science and engineering, I think, is exciting and very  
16 appropriate. We export. We need to look forward to a  
17 future of exporting innovative science, technology and  
18 best practices throughout the nation and throughout the  
19 world. And that is why we are here today, to talk about  
20 innovative technology, energy, environmental  
21 sustainability and how this region can continue to  
22 supply the U.S. with its energy supply and do it in a  
23 way where we balance environmental and sustainable  
24 energy, sustainable coastal needs.

25           In addition, all of the testimony that will be

1 presented today, we have tried to put together an agenda  
2 where you will hear a mix of topics from the  
3 conventional today to what the future might bring to us  
4 from the region. Our task force, we hope to learn from  
5 this, from this hearing today. We hope to better inform  
6 our task force in a way where we can continue to develop  
7 messages that we need to bring and share with our  
8 politicians both at the state and federal level as they  
9 continue to look at what their role might be in  
10 advancing energy for this country.

11 In today's hearing we have many speakers. We  
12 do have -- I think it's a pretty robust agenda for the  
13 amount of time, but I think we have plenty of time for  
14 you to be well informed. We ask for you to listen  
15 carefully, engage with questions and hopefully when you  
16 leave here today you will leave better informed as well  
17 as we are. Karen.

18 MS. GAUTREUX:

19 Thank you, Sandi. I would just like to  
20 also welcome everyone and thank you for coming out  
21 today. I know some people traveled a pretty good  
22 distance to be with us. I also would particularly like  
23 to thank Lisa Noble, who is from the America's Wetland  
24 Foundation, who scrambled hard, along with the other  
25 staff; not to say you didn't do a very good job too.

1 And particularly my co-chair, Sandi, in helping us  
2 organize the events today. And I want to echo some of  
3 Sandi's remarks. Although this region is key to  
4 domestic energy security, a lot of times our expertise  
5 and experience is not incorporated to the degree it  
6 needs to be in shaping a national energy policy. And we  
7 also need to make sure that the nation is aware, much  
8 more aware, of the contributions of this area.

9           Just a few statistics that we would like to  
10 remind people of. This energy corridor provides 90  
11 percent of domestic offshore oil and gas supply and is  
12 tied to 50 percent of the nation's refining capacity.  
13 Navigation facilities along the Mississippi River and  
14 the Gulf Intercoastal Waterway serve as one of the  
15 largest port systems in the world. And of great  
16 importance to The Nature Conservancy, of course, is this  
17 region is home to two of the largest flyaways in North  
18 America for migratory waterfowl and songbirds and the  
19 nation's most productive fisheries outside Alaska, and  
20 an ecosystem that serves as the nursery grounds for  
21 marine life in the Gulf of Mexico. And unless we have a  
22 cooperative and constructive discussion among public and  
23 private interests, our rich natural resources;  
24 productive landscapes; and energy, maritime and  
25 environmental assets will remain at risk. So I look

1 forward to hearing the testimony today. What I would  
2 like to do really quickly, since we do have some guests  
3 coming in that are not familiar with some of the  
4 participants in the energy coast, I would like us to go  
5 quickly around the room, or around the table, please,  
6 and introduce each other.

7 MS. COFFEE:

8 I'm Sidney Coffee and I'm with America's  
9 Wetland Foundation.

10 MR. FALGOUT:

11 Tim Falgout. I'm port director of Port  
12 Fourchon down on the Gulf of Mexico in Louisiana.

13 MS. HAMILTON:

14 Hi, I'm Mary Margaret Hamilton with Shell  
15 Oil.

16 MR. MOSS:

17 Ben Moss with the Louisiana Department of  
18 Insurance.

19 MS. MALOZ:

20 Simone Maloz with Restore or Retreat.

21 MR. PRENDERGAST:

22 I'm Mike Prendergast from MMS Gulf of  
23 Mexico Region.

24 MR. PALMER:

25 Fred Palmer with Shell based here in New

1 Orleans.

2 MS. JAFFE:

3 Amy Jaffe with the Baker Institute, Rice  
4 University.

5 MR. JOHN:

6 Chris John, president of Louisiana  
7 Mid-Continents Oil and Gas Association.

8 MS. HANRAHAN:

9 Fiona Hanrahan with Chevron.

10 MR. PEELER:

11 Dean Peeler, director of the Alabama  
12 Petroleum Council, API, Montgomery, Alabama.

13 MR. BOULET:

14 Henri Boulet with the Louisiana Highway 1  
15 Coalition.

16 MS. SHUMATE:

17 Tina Shumate with the Mississippi  
18 Department of Marine Resources.

19 MR. DAVIS:

20 Mark Davis with the Tulane Institute of  
21 Water Resources Law and Policy.

22 MR. MARMILLION:

23 And Val Marmillion with the America's  
24 Wetland Foundation.

25 MS. GAUTREUX:

1           Thank you. So we are ready to move on to  
2 the first panel about the future of conventional energy,  
3 and our panelists are lined up nicely in order. So with  
4 that, I will invite Chris to start.

5           MR. JOHN:

6           Karen, thank you very much for all of your  
7 work. Sandi and Mark, and really all of the players  
8 with America's Energy Coast. Louisiana Mid-Continent  
9 Oil and Gas is the largest oil and gas trade association  
10 in Louisiana. We represent the major oil and gas  
11 producers, explorers. We represent all of the pipelines  
12 and also all of the refineries. We have been a part of  
13 the America's Energy Coast initiative from the very  
14 beginning and very proud of it. In fact, I believe,  
15 personally, that it's been an incredible forum for us to  
16 come together to understand each other, not only from an  
17 energy sector, but also from a culture, also from the  
18 fisheries, the wildlife and fisheries, and all of the  
19 other things that go on on the energy coast in the Gulf  
20 of Mexico. And it's really been an incredible place for  
21 us to talk through some of these issues. Because as I  
22 like to say representing the industry is that the oil  
23 and gas industry needs the coast as much as anyone else  
24 because of the infrastructure and all of the assets that  
25 are in this region that provide energy security for

1 America.

2           Now, the title of this panel is to talk about  
3 the future of the oil and gas industry, the conventional  
4 oil and gas industry. In thinking about how I could  
5 frame it, it was pretty exciting because you only have  
6 to look back a couple of years, back to really only  
7 2007. Of course, the oil and gas industry has been  
8 around for a hundred years. They understand roller  
9 coasters in production and prices and other things, but  
10 I don't think anyone was ready for the tumultuous ride  
11 that has happened over the last couple of years. And I  
12 think to look at the future, you have to look at what  
13 has happened in the last 24 months to the energy sector  
14 to try to get a clearer picture of what we are up  
15 against, the challenges and certainly the opportunities.

16           If you look back to 2007 through about mid-'08  
17 some of the things that happened here, two of the  
18 largest lease sales in the history of the Gulf of  
19 Mexico. October the 7th, \$3 billion; March the 8th, \$4  
20 billion. The second and the largest lease sale in the  
21 Gulf of Mexico. And from an industry we understand  
22 that, but to look at the amount of money and resources,  
23 financial resources, that were put into the Gulf during  
24 those two short periods of time, that is only the right  
25 to produce energy. So the real dollars and the real

1 benefits economically come after the lease sales. So  
2 the fact that those two were historic, I think was a big  
3 plus for the re-emergence of the Gulf of Mexico.

4           Of course, on July the 3rd, 2008, oil closed at  
5 \$145 a barrel, which certainly caught the attention of  
6 the American people because with that rise that rapidly  
7 in oil prices came the rise of energy, just energy to  
8 the consumers, continued unsettling of governments  
9 around the country that play in the oil industry and the  
10 oil fields and the oil countries. The huge  
11 technological breakthrough in Shell gas happened right  
12 at the beginning of '07. We all knew it was there, but  
13 the announcement and the publicity it got in '08 was  
14 very exciting. And, of course, at the end of 2007, the  
15 lifting of the moratorium in the Gulf of Mexico for the  
16 first time. Being in Congress as long as I was, we  
17 tried that for years and years and years.

18           So if you pack all of that into '07 and half of  
19 '08, you think that the future, the short-term future,  
20 was very bright for the oil and gas industry. And then  
21 here comes '08, the middle half of '08. And looking at  
22 some of the things that happened. Of course, obviously,  
23 the economic slowdown, the financial institution  
24 meltdown, the tightening -- or not even tightening --  
25 the credit crunch where there was not a lot of money

1 available out there. You don't have to look very far at  
2 the two previous lease sales, from the ones I spoke of  
3 earlier. The one in March of '09 and August of '09,  
4 \$350 million and less than that in these last two.  
5 Also, Hurricane Ike and Gustav in '08, and a whole new  
6 administration in Washington, D.C. A new president, a  
7 new mindset about energy. So you pack all of that into  
8 the latter part of '08, and in two years you have gone  
9 from the opportunities and a lot of optimistic views to  
10 a lot of uncertainty. And, of course, the oil and gas  
11 industry has really been around for a very, very long  
12 time and it really understood that these rides come and  
13 go, but certainly not at this peak and this valley.

14 I think some interesting things come out of  
15 those two years that I think are going to help America  
16 not only from the economic standpoint, but certainly for  
17 the mission of what this foundation and what this  
18 initiative is doing, is bringing awareness to how  
19 important energy is, how important the Louisiana  
20 Mississippi, Alabama, Texas energy coast is. Because  
21 frankly, in my mind, when gasoline last summer reached  
22 \$4 a barrel, I think it had a permanent effect on the  
23 American people, not just in Louisiana, on the American  
24 people to try to understand what we have preached from  
25 an industry for years and years and years; that to

1 provide economic security, you must have energy  
2 security. And I think a lot of that mindset started to  
3 really sink in and to penetrate for people to focus  
4 in -- American people to focus in on what you are doing  
5 here, how important the coast is. If you look at not  
6 only Katrina and Rita, Ike and Gustav and look at what  
7 happened to the economy, what happened to the fuel  
8 supplies; not only here in this region, as much as it is  
9 up in Chattanooga and Atlanta. If you remember the  
10 bubble after those two hurricanes.

11           So I believe that what has happened, although  
12 it's been very difficult and trying, it serves up an  
13 opportunity; it serves up an opportunity for us as an  
14 oil and gas industry and also as the American people and  
15 as your initiative for people to look at why is it  
16 important to sink the revenues and the attention to the  
17 energy coast, why to address it, why is Louisiana's port  
18 system and the Gulf of Mexico's energy -- why should we  
19 spend federal dollars down there. Those questions were  
20 hard to answer prior to these events, I believe. But I  
21 think that this is a great opportunity for us to talk  
22 about this industry working together, the sustainability  
23 of a coast. And, you know, with the new administration,  
24 there are new challenges there, but I think that you  
25 have seen this mindset change.

1           I mean, you don't have to look too far. If you  
2 look at the State of Florida -- being in Congress one of  
3 my best friends in Congress was Allen Boyd, who  
4 represented Destin. Many of us have been to Destin.  
5 But offshore oil and gas drilling was just not  
6 politically sustainable in Florida. But you look at  
7 what the Florida senate did this year, 17 or 13 or  
8 whatever the vote was to actually allow offshore  
9 exploration and production within three to ten miles.  
10 It didn't pass in the house. But the fact that the  
11 Florida legislature actually is starting to understand  
12 that, you know, we have seen the oil and gas industry  
13 react responsibly and act responsibly during these  
14 hurricanes. You know, these hurricanes, there were no  
15 major spills in the offshore oil and gas industry. And  
16 I think they are starting to see and catch on that it is  
17 not a good thing for us to be so dependent on foreign  
18 sources. It is very advantageous for us to take our  
19 energy portfolio and look at it and focus on some  
20 alternative fuels, but also not do that at the risk of  
21 crippling an industry that creates, at least in  
22 Louisiana's mind, a \$70 billion economic engine for our  
23 state.

24           So I think there are some good opportunities  
25 that can come out of this. I think for the first time

1 people are understanding better what is at stake, and I  
2 think that in the long run that is going to help us as  
3 an industry and certainly America's Energy Coast trying  
4 to plant that seed and that message that it is worth  
5 pumping the federal dollars, it is worth a national  
6 effort to revitalize and rebuild our coastline because  
7 there is a lot at stake.

8 MS. GAUTREAUX:

9 Thank you, Chris. Why don't we -- what we  
10 will do, if we have questions, we will just take them at  
11 the end of the panels, if that is all right with  
12 everyone. So the next person on the agenda is from OCS,  
13 Mike Prendergast from MMS. He is going to give us an  
14 overview of the OCS program.

15 MR. PRENDERGAST:

16 Thank you and good afternoon. I want to  
17 thank the leadership of America's Energy Coast for  
18 giving MMS the opportunity to participate in this  
19 important hearing concerning the nation's and the Gulf  
20 Coast's natural resources. Minerals Management has the  
21 authority -- Minerals Management Service has the  
22 authority and the responsibility to manage the nation's  
23 resources, energy resources, on the nation's outer  
24 continental shelf, or the OCS. This includes regulating  
25 offshore oil and gas operations to ensure that the

1 exploration, development and production activities are  
2 conducted in a safe and environmentally sound manner.

3 I was asked to speak about the outer  
4 continental shelf program, but before I start to update  
5 you concerning the overall OCS program, I would like to  
6 share some information on activities, a brief update of  
7 Gulf of Mexico activities. Currently, there are  
8 approximately 7,000 active leases in the federal waters  
9 of the Gulf of Mexico. As of February 2009, there were  
10 approximately 2,000 producing oil wells and 1700  
11 producing gas wells. As of March 2009, estimated daily  
12 production from federal waters of the Gulf of Mexico was  
13 1.3 million barrels of oil per day and 7 billion cubic  
14 feet of gas per day.

15 In 2009, MMS held two lease sales in the Gulf  
16 of Mexico, one offering blocks in the Central Gulf of  
17 Mexico, which is pretty much south of Louisiana and  
18 parts of the Mississippi Alabama coast; and then one  
19 offering blocks in the Western Gulf of Mexico, which is  
20 off of the Texas coast. From Central Gulf Sale 208, a  
21 total of 328 leases were awarded and more than \$690  
22 million were received into the federal treasury from  
23 high bonus bids. At the Western Gulf Sale 210, this  
24 past August, the total of 162 blocks received bids.  
25 High bids from that sale totaled more than \$115 million.

1 MMS is currently in an analysis process it has  
2 undertaken right now to determine fair market value to  
3 make sure that the public receives fair value for those  
4 high bonus bids. And we don't have the final number of  
5 leases awarded from that sale yet.

6 At both of these sales, the majority of blocks  
7 receiving bids were in water depths greater than 1000  
8 feet or what we refer to as deep water in the Gulf of  
9 Mexico. Deep water is certainly where the future of oil  
10 and gas activity in the Gulf will take place. Currently  
11 there is a world-wide expansion of construction of new  
12 drilling rigs that can operate in not only deep water,  
13 but ultra deep water, that we consider greater than 5000  
14 feet. Various estimates indicate that anywhere from 20  
15 to 30 new floating drilling rigs each year will be  
16 delivered in 2009, 2010 and 2011 for the world market.  
17 I know Mr. Palmer will also cover the deep water  
18 challenges that take place in the Gulf of Mexico in his  
19 presentation and discussion next.

20 Looking to the future, MMS publishes every two  
21 years a production forecast for the Gulf of Mexico. The  
22 most recent forecast was released at the Offshore  
23 Technology Conference in Houston this past May. Deep  
24 water activity contributes significantly to future  
25 production for the Gulf of Mexico. In that report, oil

1 production is forecasted to rise to more than 1.8  
2 million barrels of oil a day around the years 2012 and  
3 2013. This will come from large projects that are  
4 currently coming on right now and that have been  
5 sanctioned, as well as some additional  
6 industry-announced discoveries that will be announced in  
7 years to come.

8           Natural gas production, on the other hand,  
9 which is prominent in shallow water is forecast to level  
10 off at about 6.5 billion cubic feet per day during the  
11 years 2012 and 2013. This will occur with some  
12 additions from undiscovered resources. On the shelf,  
13 some of these leases or blocks are drilled and can get  
14 into production in a shorter amount of time than in deep  
15 water, in one to two years. Some of the larger deep  
16 water projects can take ten years or more to get from  
17 discovery to first production.

18           Where does all of this fit in with the bigger  
19 picture. Currently, the Gulf of Mexico contributes  
20 approximately 25 percent of domestic oil produced and 11  
21 percent of domestic natural gas produced. Considering  
22 the entire OCS, MMS oversees more than 1.7 billion acres  
23 on the OCS, an area of roughly three-fourths of the size  
24 of the United States. Operating under the OCS Lands  
25 Act, the secretary develops a leasing schedule called

1 the OCS Oil and Gas Leasing Program. These programs  
2 cover a five-year period and are often called five-year  
3 leasing programs or plights. We are currently leasing  
4 under a program which covers July 2007 through June  
5 2012. Developing these programs usually takes about two  
6 years and involves a multistep process which includes  
7 many opportunities for public comment from all parties,  
8 including interested -- including states, local  
9 communities, special interest groups, industry and other  
10 federal agencies.

11 In January of 2009, a draft proposed program  
12 was published to develop a new plan. Originally the  
13 comment period was scheduled through March of 2009. In  
14 February, Interior Secretary Ken Salazar extended the  
15 comments period for six months in order to provide  
16 initial opportunities for input. The comment period  
17 closed on September the 21st, 2009, and more than  
18 450,000 comments regarding the development of a  
19 comprehensive offshore energy strategy for the OCS were  
20 received. As you might expect, review and analysis of  
21 the public comments are expected to take several weeks.  
22 The next step in the process is to initiate  
23 environmental analysis and public scoping opportunities  
24 associated with the five-year plan. This is required by  
25 law and for all oil and gas development that may take

1 place in the OCS. And in the words of Secretary  
2 Salazar, the offshore energy program we are developing  
3 must address our nation's energy security challenges,  
4 deliver a fair return to the taxpayers who own the  
5 resources and account for the views of local  
6 communities, states and tribal nations. In addition, it  
7 must take into account several key considerations,  
8 including areas of the ocean that are critical to  
9 military training and the nation's defenses; other  
10 economic benefits of the oceans, including fisheries,  
11 tourism and subsidence uses, environmental  
12 considerations, existing oil and gas infrastructure,  
13 interest from industry and the availability of  
14 scientific and seismic data.

15 I am confident that we will be able to expand  
16 our nation's offshore energy portfolio by focusing on  
17 development in the right way in the right places. We in  
18 the Gulf region are confident that the Gulf of Mexico  
19 will continue to play a vital role in the nation's  
20 comprehensive energy plan. And as we work more  
21 efficiently and effectively with other federal agencies  
22 and with the coastal states, MMS will continue to manage  
23 our nation's offshore energy resources in a responsible  
24 manner that will ensure sustainability for future  
25 generations. Thank you.

1 MS. GAUTREUX:

2 Thank you, Mike. And next, Amy Jaffe from  
3 the Baker Institute of Rice University will address  
4 energy security.

5 MS. JAFFE:

6 So in thinking about the region and energy  
7 security and thinking about how the public thinks about  
8 or should think about that issue, of course there are  
9 tradeoffs. But I think we need to go back and think  
10 about Hurricane Rita and Katrina because the impact of  
11 losing the oil and gas production and the refinery  
12 production from this region had devastating effects  
13 across the country with gasoline lines as far north as  
14 Boston and affecting people up and down the east coast.  
15 And people don't really realize that that disruption was  
16 only mitigated by the fact that Europe loaned us  
17 gasoline from their strategic storage. So if there was  
18 a large drop in capacity or accessibility to the energy  
19 that gets produced in this part of the country, I think  
20 that the sort of post-hurricane period might have given  
21 people a flavor of what this country would be like if we  
22 had to rely on foreign sources of supply.

23 I find that when I deal with public sessions  
24 that there is a great concern about the environment,  
25 both global climate change and local environmental

1 issues, and I'm very sympathetic to those concerns. But  
2 in discussing those concerns, sometimes we put aside an  
3 understanding of the scale of energy that we are using  
4 in the United States. So it's in that spirit that I try  
5 to sort of bring up the issue of thinking about energy  
6 security and how much energy we use here in the United  
7 States to understand how much fossil fuel is used and  
8 what the difficulty would be of replacing it.

9           And so I actually made this calculation for a  
10 debate that is taking place now on the Economist's  
11 Magazine website. We world-wide use 113,900 terrawatt  
12 hours of fossil energy world-wide. That means nothing  
13 to anyone in the room that doesn't deal with energy. So  
14 I try to think about, you know, how to make that come  
15 alive for someone who is not in the energy business but  
16 just concerned about our use and so forth. So if we  
17 were going to replace that, say we all agreed that  
18 climate change is a great emergency and we need to  
19 replace that a hundred percent with some other energy  
20 form; that means that we would have to construct over  
21 6,000 new nuclear plants. That is more than 14 times  
22 the number of nuclear plants that are currently on the  
23 globe. If we wanted to do it with solar wind and  
24 geothermal energy, we would have to build 133 times the  
25 amount of renewable energy that exists today and we

1 would have to replace more than 1 billion liquid fuel  
2 vehicles that are on the road in the world. And if we  
3 take that line forward, and I highly recommend people  
4 read Dan Sperling's book Two Billion Cars. His  
5 contention is that by the time we would get to change  
6 some of this technology, we will be talking about 2  
7 billion vehicles on the road worldwide. So the  
8 challenge of, quote/unquote, replacing fossil fuel is a  
9 much larger challenge than sometimes presented in I  
10 think the public domain in the United States.

11           There is this sort of hope and a prayer  
12 thought. We will have some miracle technology that is  
13 going to appear and have enough energy to replace 6,000  
14 nuclear plants, and that is not going to happen this  
15 year and that is not going to happen next year. And if  
16 you look at industry projections for the next 20 years,  
17 it's going to be difficult to even come up with that  
18 kind of newer, cleaner energy in 20 years time. And the  
19 administration and the Congress have done some  
20 interesting things. We have tremendous potential to  
21 move forward in the area of energy efficiency and we  
22 have done some work at Rice where we can tell you, you  
23 tell us the scenario for CAFE standards with plug-in  
24 cars and we will tell you what that means in oil demand  
25 in the United States. So the Congress' latest 2007 bill

1 that passed a 35 mile to the gallon standard for an  
2 average American corporate vehicle, that is going to  
3 eliminate 2.3 million barrels a day of oil use in the  
4 United States. That is pretty small when you compare it  
5 to our 19 million barrels a day of oil and gas and the  
6 245 million cars that we have on the road. If we were  
7 to get up to President Obama's campaign promise and go  
8 to 50 miles to the gallon, that would eventually  
9 eliminate 6 to 7 million barrels a day of oil use in the  
10 United States. Very good policy, one that should be  
11 pursued. But, again, the idea that that would somehow  
12 mean that we don't need domestic oil production is not  
13 correct because we will still need over 10 million  
14 barrels a day of oil in this country, even if every car  
15 in America on the road was getting 50 miles to the  
16 gallon.

17 So we need to be realistic about what is  
18 possible and in what time frame. And I would like to  
19 use this other estimate of the comps in the industry,  
20 but I think the industry does a pretty good job in its  
21 forecasting. People are projecting that we might  
22 actually by 2030 be able to -- through just efficiency  
23 gains alone -- so building codes, car efficiency and so  
24 forth -- eliminate 180 million barrels of oil a day of  
25 demand. I mean, that is more than twice all world

1 demand today. And even under those forecasts, which is  
2 very really conservative and I think realistic forecast  
3 for efficiency, we would still need a substantial amount  
4 of oil, maybe the same amount of oil or more oil than we  
5 are currently using today, maybe another 10 million  
6 barrels a day more than we are currently using in the  
7 world, even having eliminated twice as much of today's  
8 demand through these new technologies.

9           So the bottom line is, the United States is  
10 going to need to continue to maintain its oil and  
11 natural gas production for many years to come, even if  
12 we pass a very broad range of stronger climate and  
13 energy efficiency policies. And there is no reasonable  
14 projection on the horizon for how we could achieve a  
15 complete withdrawal for the need for oil and gas in the  
16 next two decades. And we need to in thinking about and  
17 forging policies for this country, you know, we need to  
18 face the scale-up issues of our energy use and the  
19 average daily lifestyle of Americans. And we need to  
20 balance that against the policies that we want to put in  
21 in the ideal world. So there really does come to be a  
22 very important place for forums like this or task force  
23 like this that can both meet the needs of coastal  
24 communities and the environmental protection of coastal  
25 communities without sacrificing the supply of oil and

1 natural gas on the fantasy that somehow we have these  
2 other policies and we don't need them.

3           Let me just finish my statement by explaining  
4 something that I spent three years on, and I have a book  
5 coming out in December; that, again, I don't think the  
6 public understands. So during this crisis we just had,  
7 we had a financial crisis involving the dollar. I don't  
8 know how many of you, like me, took your money out of  
9 the bank and put it into something else. I bought  
10 treasury bills over the internet so I would be out of  
11 the banking system. Right. And I did that because I  
12 could see how much wealth we were transferring to the  
13 Middle East. And forget what they might spend that  
14 money on. The point was, that created such a large  
15 trade deficit in the United States. The people on Wall  
16 Street and every other community in the world that  
17 speculates in markets bet against our currency. And  
18 when they were betting against our currency, they  
19 decided that they should bet on commodities because  
20 commodities will hold their value, so they bought in oil  
21 index funds. And that is how we got to \$147 and that is  
22 how we wound up having a banking crisis because now we  
23 have gone into what we call policy finance where  
24 everybody is betting the same way, the value of  
25 financial instruments start to lose their meaning in any

1 rational form.

2           And so when you get to the recession, which is  
3 what we hit, nothing is worth what it was suddenly worth  
4 in the middle of what seemed to be such a robust bubble  
5 of asset. Your house isn't worth what it was worth, so  
6 therefore you can't actually own that oil index fund  
7 because you have to liquidate some of that to pay for  
8 the money you lost in some other place, and it all spins  
9 out of control. And we have had that happen in this  
10 country twice and we are now just going through it  
11 again, and we don't understand what the ramifications  
12 are going to be over time, but we will be back in this  
13 same exact place no matter what we do. We will be back  
14 in the same exact place until we change our policies.  
15 Right. And not having domestic energy production is not  
16 the way to go to make sure that we don't transfer even  
17 more money abroad and have it come back as a banking  
18 crisis. We absolutely do need to go looking at energy  
19 efficiency, we need to look at alternative energy, we  
20 need to have a robust program to diversify the sources  
21 of energy in this country. There is no question that  
22 that is part of the formula. But we definitely don't  
23 want part of the formula to be that over time we are  
24 buying more and more oil from abroad and so we get back  
25 into this cycle and the next thing we know we are

1 transferring more and more money abroad to countries  
2 that can't absorb that money because their economies are  
3 too thin. It comes back as this bubble of policy  
4 finance again, weakens our currency and we are back in  
5 the same financial crisis again.

6 And people focused on China, somehow there was  
7 money coming from China, we had too much debt to China.  
8 But if you buy my book on Amazon.com in December, I  
9 can't remember what page it is, but you will see the  
10 chart. And the transfer of hot money into the financial  
11 system from Saudi Arabia and Kuwait from 2003 to 2007  
12 was, you know, 30 percent higher or 40 percent higher  
13 than the money coming from China, so this oil thing --  
14 this crisis we went through was really world related and  
15 we need to understand that in thinking about our energy  
16 future.

17 MS. GAUTREUX:

18 Thank you, Amy. And what is the name of  
19 your book?

20 MS. JAFFE:

21 It's called The Oil Dollars, Debt and  
22 Crisis.

23 MS. GAUTREUX:

24 Thank you very much.

25 MR. DAVIS:

1           It sounds like some nice seasonal reading  
2 for the end of the year.

3           MR. PALMER:

4           A Christmas gift.

5           MS. GAUTREUX:

6           All right. Thank you. And now we will  
7 hear from Fred Palmer about deep water exploration.

8           MR. PALMER:

9           Thank you, Karen. I feel so inadequate  
10 now. I don't have a book, I don't even have a blog site  
11 to promote. I just want to reinforce a couple of points  
12 made by the other panelists, and part of that is just  
13 from where I came from before coming here today, and  
14 that was being a part of some local businesses. We were  
15 meeting with about a half a dozen economic development  
16 site selectors that are visiting the New Orleans region  
17 today and tomorrow. And I just talked briefly about  
18 where I was going from there. You mentioned America's  
19 Energy Coast, and I see this all of the time, but as  
20 recently as an hour ago, with people getting it. Four  
21 dollar gas and hurricane disruptions over the last  
22 couple of years; this is a great brand because people --  
23 the awareness and the interest in trying to understand  
24 better what is going on here is certainly elevated. So  
25 when you say that name, America's Energy Coast, people

1 get it and a lot of questions flow from that.

2           On the topic of the panel here, you can debate  
3 how much it should or shouldn't be, but there is  
4 certainly a future for conventional oil and gas as we go  
5 forward as part of our energy portfolio. I couldn't  
6 have said it any better than Amy just did, so I'll leave  
7 it at that. But I will say that as part of that  
8 conventional oil and gas, deep water or even ultra deep  
9 water is going to play a big role in that, so my  
10 comments are going to be not even around exploration,  
11 but just the whole challenges and technology and  
12 innovation we need to develop and employ to be able to  
13 take advantage of the opportunities in the deep water  
14 and ultra deep water, not only globally, but certainly  
15 in the Gulf of Mexico.

16           I'm going to use some visuals. I'm a big fan  
17 of them. Hopefully they will help make my comments a  
18 little bit more interesting. But if you look at the  
19 whole deep water environment -- these are more global  
20 statements -- but ultra deep water, you know, we are  
21 really now -- and you will hear in just a few minutes  
22 how we are really talking about 5, 6, 7, 8000 foot of  
23 water depth. So we are not really in deep water. We  
24 are already into ultra deep water. But they are in  
25 remote locations, they are often in harsh environments.

1 The accumulations of oil and gas that we are able to  
2 find -- you know, you hear about the easy oil being  
3 gone. They are smaller, they are more difficult to get  
4 to. Because they are smaller, they are less economic,  
5 so that creates the whole interest around more and more  
6 innovation around subsea field development. Discuss oil,  
7 just the type of oil you are finding. And the low,  
8 natural pressures that exist and the energy drive that  
9 just naturally takes that oil, gas and water and brings  
10 it to the host platform. The high cost of drilling and  
11 infrastructure.

12 In the deep water Gulf of Mexico, even though  
13 our economy has softened, prior to it softening for a  
14 deep water -- to contract a deep water drilling rig is 6  
15 to \$700,000 a day. You then roll in the marine vessel  
16 support and other services you need to support that, you  
17 get to a million dollars a day per rig for that type, to  
18 be able to maintain that type of program. And then  
19 often -- this is more maybe a global statement than  
20 necessarily the Gulf of Mexico, but even some challenges  
21 around lack of local logistics and the service industry  
22 to support development in a deep water or ultra deep  
23 water environment.

24 My remaining slides and comments are really  
25 going to focus around what better way to try to drive

1 this home than talk about something that is really  
2 happening right now, and that is our Perdido project in  
3 the Gulf of Mexico. The technology and innovation has  
4 certainly been the key to making this whole project  
5 feasible. So this facility actually exists on location  
6 about 200 miles south of Galveston, Texas. It's in  
7 about 7800 feet of water. The spar was installed last  
8 year and then the top sides were installed on the top of  
9 the spar earlier this year, and it's going through the  
10 commissioning and remaining installation process to come  
11 on-line and come on production early next year. Shell  
12 is the operator. We also have two very important  
13 partners in this project: B.P. and Chevron. This will  
14 be the deepest spar in the world. There are a number of  
15 world records associated with this project. It has a  
16 design capacity of 100,000 barrels of oil a day, 200  
17 million cubic feet a day, so that is 130,000 barrel of  
18 oil equivalents in equivalency basis. It also has the  
19 ability to handle 80,000 barrels a day of water  
20 injection, which is going to be important in the life of  
21 the field to be able to go into a secondary recovery  
22 mode where we inject water to sweep the oil and gas that  
23 won't naturally come out under its own pressure.

24 It can accommodate up to 150 people on the  
25 platform. We actually have some temporary locations out

1 there now with a lot of activity. We are at probably  
2 about 200 people, what we call personnel on board, at  
3 the location today. There are 35 wells associated with  
4 this project initially. 22 are called DVA, or direct  
5 vertical access. And you will see in a minute with some  
6 other slides and a video tour I'll show you of the  
7 project, those are the wells. Direct vertical access is  
8 a reference to the wells that exist directly below a  
9 floating structure. And then there are 13 wells that  
10 are remote subsea developments tied back to this spar.  
11 It will be the deepest subsea production in the world.  
12 One of those deep subsea wells is in almost 10,000 feet  
13 of water depth. That is -- that well has been  
14 completed. It's just not producing right now. But that  
15 again is another world record.

16           Also to get this oil and gas to the market, we  
17 had to construct 77 miles of oil export line and 107  
18 miles of gas export line from the location to existing  
19 pipeline infrastructure closer to the coast, and that  
20 tie-in had to be done in 5,000 feet of water. That has  
21 never been done before and successfully accomplished.  
22 But the most important thing and the next to last bullet  
23 there, when these leases were required and this field  
24 was discovered, the technology to be able to produce in  
25 this environment did not exist. It was literally a "if

1 you build it, they will come" type of proposition. What  
2 we have to do, we will be initially developing from  
3 three formations below the sea floor; at 4, 6 and 11,000  
4 feet below the sea floor. The natural pressures in  
5 those reservoirs to bring that oil and gas to the sea  
6 floor, let alone overcome the 8,000 foot hydrostatic  
7 pressure of water sitting on top of it, doesn't exist.  
8 So we needed to find a way to separate the oil, gas and  
9 water that naturally exists in these formations at the  
10 sea floor and boost them up to the platform. So we have  
11 done that. That technology being applied here is serial  
12 number one.

13           Next slide, please. This is a little bit  
14 better schematic of the layout of the facility. Again,  
15 you see the spar, you see the great white field and then  
16 there is also the silver tip and Tobago fields; those  
17 last two being the subsea fields about 8 and 10 miles  
18 away that will produce back to what we call a floating  
19 host in that type of environment. You see by the area  
20 map there Perdido's remoteness in the Gulf of Mexico  
21 from existing infrastructure. Next slide, please. This  
22 is a little bit more about what the footprint looks like  
23 on the sea floor directly below the spar. You see those  
24 black stubs, those with the wellheads sitting on top of  
25 them; you can actually see at the top right one of those

1 actual wellheads with a person standing there to give it  
2 some scale. So this is again the infrastructure on the  
3 floor that takes the production from the two subsea  
4 fields and the great white field, takes them into one of  
5 five caissons, which are the stubs you see on the floor  
6 there with the five pipes running up out of the picture  
7 to the top. And those caissons are where the  
8 production, the oil, gas and water will go into those.  
9 They will be separated. And then there are 1500  
10 horsepower electrical submersible pumps in those  
11 caissons that will boost and drive that oil, gas and  
12 water up to the platform.

13           This is more detail around the boosting system.  
14 I am not a technical expert, so I cannot get into a  
15 whole lot of detail without getting myself into trouble  
16 about not knowing what I'm talking about, other than to  
17 again drive home that there you see the actual equipment  
18 before it was taken offshore. These are the boosting  
19 systems. Again, first time technology ever applied that  
20 sit on top of these caissons. The caissons are 35 inch  
21 diameter steel pipe that runs about 320 feet into the  
22 sea floor where the pump sits. And this boosting system  
23 does what it does, and that is, again, to separate those  
24 three materials and boost them up to the platform for  
25 further treating, compression and putting into the

1 export line.

2           This is what -- you can't help but have a  
3 little sales pitch here about this is what Perdido looks  
4 like at night. Of course, Entergy doesn't run out to  
5 here, so we generate our own power. But I just think  
6 this makes it very real. There are actually people now  
7 that are working out there two weeks on, two weeks off,  
8 and will be over the life of this field producing oil  
9 and gas to help meet our energy needs in a remote,  
10 challenging type of environment. What I would like to  
11 share with you next is a video. It's an animated tour  
12 of this project from the bottom up. There is no sound  
13 associated with it. I will describe some things as we  
14 go along, but there will just also be some quiet time.  
15 And there we go. That is some of the actual 3-D imaging  
16 from the wells that we generated in our 3-D seismic  
17 center. But this is the ocean floor. And some people  
18 you show this to think it looks like Park City, Utah  
19 type of environment. That is the ocean floor in about  
20 8,000 feet of water. And even deeper in the bottom of  
21 that canyon you see there, it's about a thousand feet  
22 wide and about a mile and a half deep. We will travel  
23 up as if we were in the remote operated vehicle, the  
24 ROV, traveling up through the canyon. You can see some  
25 of the tensioners or the -- that hold the platform in

1 place.

2           One of the things unique about this platform --  
3 not unique; it's done in other parts of the Gulf, but in  
4 this particular setting there is a drilling rig on the  
5 production platform, so we can both produce as well as  
6 drill in intervening wells and drill new wells. But to  
7 be able to site that rig over a location, rather than on  
8 most platforms where it's on skids and you move it on  
9 the top sides to get it to where it needs to be, we will  
10 actually have to move the whole spar, the whole  
11 structure, to put it over the location where we want to  
12 drill. This is what you have already seen. That shark  
13 you see there, we actually had a sighting of a Greenland  
14 sleeper shark; which the shark is not rare, but that is  
15 the first sighting of one in the Gulf of Mexico. We  
16 also have some great squid video that was found of a  
17 squid that was floating out there in November of 2007  
18 when we were completing one of these wells. You see the  
19 caissons there with the production risers; again, five  
20 of them that go back to the platform. There is a sixth  
21 riser on the platform, and that is the drilling riser.

22           There you see the spar from the bottom to the  
23 water surface. It's about 550 feet tall. That bottom  
24 tank is called the soft tank. It was towed out on its  
25 side horizontally. A molten material put in that bottom

1 tank, which eventually solidifies. And the spar was  
2 uprighted and put itself in place. The bigger tank is  
3 called the soft tank, and that is where water is either  
4 entered into it or taken out of it to adjust the ballast  
5 to compensate for weight and activity onboard and how  
6 much freeboard it needs up out of the water. There you  
7 see the top sides which sit on top of the spar. Again,  
8 all of this kit, if you will, is on location and being  
9 finalized as far as assembly and commissioning process.

10           You see the life boats. We actually have --  
11 that bottom one is a fast response vessel because of its  
12 remoteness. We have an extra life boat there that is a  
13 fast response vessel that if a helicopter had to ditch  
14 on its way out, we could quickly get to it and  
15 accommodate all of the passengers in that boat. That is  
16 now the largest helipad in the Gulf of Mexico. Again,  
17 because of its remoteness, we are using Sikorsky S-92  
18 helicopters that can carry 24 people and a crew of two.  
19 It's the offshore industry's pickup truck. We can park  
20 two of those S-92s on the helipad, if we had to.

21           Now we start to get into the guts of the  
22 facility. Which this part that you are seeing right now  
23 is actually different from a typical type platform.  
24 Because the oil, gas and water is separated subsea, this  
25 whole equipment up here has a little bit different look

1 to it because this is where you would normally separate  
2 the oil, gas and water on the top sides. You can see a  
3 stick figure there just to give you some scale. And we  
4 will fly down through the middle of this in a minute.  
5 Those red larger pipes you see, those are the five  
6 production risers and the one drilling riser. The riser  
7 being the conduit, if you will, to get the production up  
8 or to have the drill pipe and drill bit inside of to do  
9 the drilling operations. All of this has to be designed  
10 to be able to accommodate -- the structure is designed  
11 to float and adjust to the seascape, so it moves  
12 sideways, up and down and all of this to be able to do  
13 it without putting the equipment and pipe under undue  
14 stress.

15 We are flying down through the middle of the  
16 spar back up through the bottom. That little item you  
17 see on the right side there, that is the ROV, so you  
18 just get a feel for the scale of this thing. This would  
19 be the view if you were flying out to it by helicopter  
20 and approaching it for a landing. I think with that, we  
21 will leave it at that. But I hope between the comments  
22 and the video and seeing something along with what is  
23 being said, it's of interest to you and helpful and I'll  
24 be happy to address any questions that I guess we will  
25 start to get into now. Thank you.

1 MR. PEELER:

2 Did you say, Fred, for new drilling you  
3 have to move the spar?

4 MR. PALMER:

5 To be over a certain well. There are six  
6 slots on the platform, five of them are for the  
7 production risers, one for the drilling. So other  
8 platforms you would have a drilling rig on a skid, on a  
9 metal skid that you would move this way or that way to  
10 get it over one of the slots on the platform. On this,  
11 the drilling rig stays in one location on the platform  
12 and you move the whole spar to get it over the well.

13 MR. PEELER:

14 With the flow lines attached?

15 MR. PALMER:

16 Yeah.

17 MR. PEELER:

18 So they have a lot of flex in them?

19 MR. PALMER:

20 Yeah. Again, they are built in a way to  
21 accommodate the seascape, including hurricane  
22 conditions.

23 MR. PRENDERGAST:

24 I might add, that is for the wells directly  
25 below the spar, right. But this facility is also

1 designed as a regional host and it can potentially  
2 produce from other discoveries up to, what, about a 30  
3 mile radius around the facility, and we have -- we call  
4 those central processing hubs. We have other facilities  
5 already in the Gulf of Mexico that produce subsea from  
6 other discoveries or fields back to those hosts. About  
7 65 percent of all of our projects in deep water are  
8 subsea projects back to some other facility.

9 MS. GAUTREUX:

10 Thank you, Fred. We were almost getting  
11 dizzy with that animation. Thank you. Do the panelists  
12 have any questions for our -- any additional questions  
13 for our speakers? Okay. Thank you.

14 MR. DAVIS:

15 This may be just a question which would  
16 also be applicable to the panel of alternative energy,  
17 but I think we can all accept the fact that conventional  
18 oil and gas is going to be a big part of not only  
19 America, but world-wide for a long time to come. But,  
20 you know, in these coastal regions that have been  
21 playing host for a long time, they also have special  
22 additional needs. I was wondering how you or any of the  
23 future panelists see the interplay of the need for, for  
24 example, coastal Louisiana -- or I could make the same  
25 argument for Texas, Mississippi, Alabama -- for

1 freshwater input as touring systems need that, but  
2 increasingly natural gas production and a lot of  
3 alternative energy like solar requires, quite frankly,  
4 mind-blowing amounts of water.

5           How do we actually begin to balance the needs  
6 of those freshwater resources to produce energy of  
7 whatever sort and to maintain the integrity of these  
8 coastal systems such as the Mississippi River Delta and  
9 the Gulf Coast? Because it's often a conversation that  
10 happens separately where we see, you know, the desire  
11 for energy independence in one room and we see the idea  
12 for, if you will, low carbon fuels in another, and then  
13 the idea for ecosystem maintenance and sustainability in  
14 another; when, in fact, there are common issues and  
15 those haven't been addressed. And do you think, you  
16 know, this initiative is a place to at least begin some  
17 of that conversation so we don't end up, you know, being  
18 surprised by anything?

19           MR. PALMER:

20           You know, I'll try to address that, Mark.  
21 I don't have the intellect or the background or skill  
22 set to really address the heart of your question.

23           MR. DAVIS:

24           Neither do I.

25           MR. PALMER:

1                   But I think you are right. I think this  
2 effort, you know, where it is at a relatively young age  
3 is the type of environment that you can start to have  
4 those discussions much -- even within the companies, let  
5 alone efforts like this. We do too many things in silos  
6 and we need to break down those silos and have more of  
7 that collaborative holistic discussion. So I think this  
8 is an environment in which to do that. There is a  
9 little bit of an onshore analogy that I can think of  
10 where I think there is a challenge around things within  
11 our industry, for instance, in the Haynesville Shale in  
12 Northwest Louisiana where, again, water is a critical  
13 issue. Where you see companies -- we are very  
14 competitive as an industry in companies, but you see  
15 companies coming together and trying to find broader  
16 solutions to things. That it may be a number of  
17 solutions, but they are done more collaboratively  
18 because I think the society expects the industry to  
19 collaborate more on these kind of things, put all of  
20 that technology and innovation to work and share the  
21 best that everybody has to offer and come up with the  
22 best solutions. And in the past we have been very  
23 competitive about trying to do that for our own  
24 particular part of the play, if you will, but I think  
25 you are seeing the expectations for something more than

1 that. So I think we are seeing that actually happening,  
2 and this is a great forum for which that discussion can  
3 happen in the Gulf of Mexico and Gulf Coast  
4 respectfully.

5 MR. MARMILLION:

6 I have a question. Any, assuming -- and,  
7 of course, we do -- your estimates are correct for  
8 conventional sources into the near future, can this  
9 region bear the brunt of producing the amounts needed to  
10 keep up with domestic demand? Where is this going to  
11 come from and how much can be produced here?

12 MS. JAFFE:

13 Well, you know, actually, the truth is this  
14 \$147 we all complain about, maybe that wasn't quite as  
15 important as the \$15 per million BTU gas price. It did  
16 stimulate a lot of things that, again, I don't think  
17 people are really aware of the scale. So deep water in  
18 Gulf of Mexico is still a huge potential. West  
19 Stafford, even. You know, more and more finds are being  
20 announced. But when you look at natural gas, which, of  
21 course, is a cleaner fuel, and if you think about the  
22 way technology is going, so maybe I'm going to have a  
23 car that can run on both fuel and electricity over time  
24 or I'm going to have technologies that can convert  
25 natural gas into other kinds of fuels, the interesting

1 thing about what is happening in this country, just in  
2 the last five years, is we went from having people like  
3 Matt Simmons explain that we are running out of natural  
4 gas and there is just no potential left in this country  
5 to now having five times the amount of natural gas as  
6 Qatar, the country that used to have the largest single  
7 gas field in the world and was thought to be the sort of  
8 leading province for natural gas supply in the world,  
9 you know, 10 or 20 years out.

10 So we now have developed so much understanding  
11 of the shale play in the United States that the  
12 estimates keep going up and up. And I'm a big believer  
13 in technology. I mean, you just have to watch that  
14 simulation and think about how many scientists actually  
15 work at Shell. We went from the Barnett Shale from  
16 being an obscure play that a handful of guys decided  
17 they would do and they were crazy because this \$15 gas  
18 price would never last and it was costing them \$12 to do  
19 that play, to having large companies with a lot of  
20 engineering think about how to do those plays in other  
21 parts of the country that might not be quite as complex  
22 as Barnett, and numbers like 4 or \$5 gas. And my belief  
23 is from watching the industry that those numbers will  
24 come down over time. And I tell the story that I like  
25 to say because I work at a university. So to me the

1 question is not can we. It's what is the time scale.

2 Right.

3           So we actually have something at Rice that is  
4 also called the AEC, ironically. It's called the  
5 Advanced Energy Consortium. And it looks to look at how  
6 nanotechnology might improve energy systems, you know,  
7 both in solar energy -- imagine the roof being made out  
8 of a million, you know, little nano dots that collect  
9 the sun -- to things that you can do offshore, like you  
10 can go down with these nano robots and see where the oil  
11 and gas is and be more precise in your planning for  
12 recovering the stuff underground. So there is two  
13 issues there. Number one is, what is left. Number two  
14 is, what percentage of it can we recover. So when I  
15 first came into the business -- I don't want to date  
16 myself because I'm a woman, but, you know, people were  
17 recovering an average of 10 to 15 percent of the oil in  
18 a find they would get. The industry is moving more and  
19 more towards the realistic possibility that they can  
20 recover 50 percent of a field and bring that to bear.  
21 And that is a huge amount of resource just in changing  
22 your recovery rates.

23           And you mentioned -- the other gentleman  
24 mentioned this issue of water, how much water does it  
25 take to do this. And, again, when you look at

1 nanotechnology, this AEC has developed a synthetic sand  
2 that works better than sand in fracing the shale rock;  
3 and so, therefore, it is going to require dramatically  
4 less water. And to sort of confirm what Mr. Palmer was  
5 saying, this AEC is a consortium of ten energy companies  
6 working together funding scientists at Rice to come up  
7 with these kinds of technologies, and we are doing so  
8 actually rather quickly. The AEC is only two years old.  
9 We already have the nano sand. We already have tested  
10 the nano bots for deep water drilling. And I like to  
11 tell this story of optimism because there is a group  
12 working on nano soil. And so I would like to feel that  
13 some day we will get to these technologies that will be  
14 the eventual replacement technologies.

15           So I tell the story about Jennifer West and  
16 Naomi Hollis, who are two very talented scientists at  
17 Rice, who decided in the late '90s to take these little  
18 nano materials and come up with a treatment for breast  
19 cancer. And you would think to come up with some little  
20 robot that you need some \$400 million or maybe even more  
21 expensive microscope to see, it would take you a really  
22 long time to figure out how to program those little  
23 things to go into somebody's blood stream, float around  
24 until it found the cancer cell, get into the cancer  
25 cell, pick up the radiation from her treatment, kill the

1 cancer cell and then expel itself through a regular  
2 human process. The treatment by 2004 was in FDA  
3 clinical trials at the Texas Medical Center. So the  
4 pace of science that we see today is much more dramatic.  
5 So I feel very optimistic about some of these technical  
6 problems and the ability of the industry to come up with  
7 good and concrete solutions.

8 MS. FURY:

9 Anyone else? Okay. I would like to thank  
10 the panelists. And we will take a few seconds here and  
11 I'll ask the next panel to come forward and Lisa will  
12 seat you at the table. Thank you.

13 (A break was held in the proceedings.)

14 MS. FURY:

15 Okay. I would like to ask everyone to take  
16 a seat and we will get started with our next panel. I  
17 thought the first panel was very good setting the stage  
18 for conventional resources and what they look like today  
19 in this region. The next panel we thought would bring  
20 us a little bit more into the future as we hear more and  
21 more about CO<sub>2</sub>, CO<sub>2</sub> capture, CO<sub>2</sub> sequestration. We  
22 thought it would be appropriate to hear from some  
23 panelists relative to the topic of leveraging CO<sub>2</sub> for  
24 energy production. It's been proven, it's been around  
25 for a long time, but it's been limited in its

1 applicability based on the availability of CO2.  
2 However, that picture may change. So we hope that today  
3 you will hear -- you will be informed by our panelists  
4 about activities ongoing today relative to leveraging  
5 CO2 for the benefit of energy production.

6 So with that, we have two panelists, and we are  
7 going to start with Charlie Gibson. And Charlie is  
8 going to talk with us about the CO2 recovery process.  
9 And just so we capture this again, this hearing is  
10 really for purposes of us to capture information,  
11 capture it for the record in hopes that we can use this  
12 information in informing our constituents here locally,  
13 at the state and federal level too, in policy  
14 discussions. So to make sure we get good information,  
15 please restate your name and your affiliation so we get  
16 that captured into the record, if you don't mind. So we  
17 will start with Charlie.

18 MR. GIBSON:

19 Okay. Thank you. My name is Charlie  
20 Gibson. I work for Denbury Resources, which is an oil  
21 and gas company located in Dallas, Texas. I thank you  
22 for inviting me to talk today. There is a couple of  
23 things that hit home for me. I grew up on the West Bank  
24 in a little town called Plaquemine, Louisiana. And I  
25 went to Louisiana State University. And the environment

1 is very important to me, especially since I still have  
2 family here and my father-in-law is a big-time fisher  
3 and hunterman. So I think it's very important to  
4 protect our environment. And the second issue is, my  
5 little company, which is a \$3.7 billion company. I say  
6 it's little, but it's no longer little. We have  
7 production in the states of Alabama, Mississippi,  
8 Louisiana and Texas, so it's very applicable to  
9 America's Energy Coast. So it's with great pleasure  
10 that I'm here to talk about my company and what we do.

11 My company is an EOR company, which that stands  
12 for enhanced oil recovery. We use CO2 as the source to  
13 recover additional oil which would not be recovered  
14 through normal oil recovery processes. The CO2 recovery  
15 process is very interesting, yet very complex. The CO2  
16 molecule, which when it comes in contact with oil, will  
17 swell the oil, improve its viscosity and eventually, and  
18 hopefully, will get the oil molecule to mobilize. We  
19 estimate an additional 10 to 20 percent of the original  
20 oil in place can be recovered with this process. Of  
21 important note to everyone, this is not a new fandangled  
22 process that someone came up with in the last couple of  
23 years. The oil industry has been applying this process  
24 since the 1970s. Even though this technical process at  
25 times seems overwhelming, several obstacles prevent

1 universal expansion. And I would like to briefly  
2 discuss some of these obstacles that come to my mind.

3           The first obstacle is CO2. There aren't many  
4 naturally-occurring deposits or sources of CO2. My  
5 company, fortunately, has one in the Jackson,  
6 Mississippi area. It is the only naturally-occurring  
7 source of CO2 east of the Mississippi River. So one of  
8 the potential solutions for this is manmade CO2. We can  
9 capture the CO2 and use it for enhanced oil recovery.  
10 There is one small issue with that, and that is the cost  
11 of capture. And it's extremely high and the technology  
12 hasn't really caught up to help solve that cost. The  
13 second issue that I would like to talk about is pipeline  
14 systems, or network of pipelines. There aren't many  
15 pipelines in the United States dedicated solely for the  
16 use to transport CO2. And if you look on the map from  
17 the projection, it shows -- the green solid lines shows  
18 all of the known CO2 pipelines in the United States.  
19 You can see in the Western United States from Colorado  
20 into the Permian Basin in West Texas, the network has  
21 been extensive and it has been used for many, many  
22 years. And then again also in Wyoming there are some  
23 sources. I think Exxon produces natural gas and strips  
24 off the CO2 and they use the CO2 to those fields in  
25 Wyoming.

1           If you look in Mississippi, that is our system.  
2   That is an old Shell pipeline system. Shell Oil Company  
3   put this in place in the 1980s. There is nothing along  
4   the Gulf Coast where CO2 is emitted everyday from our  
5   chemical plants and refineries. So there is no system  
6   in place to capture that CO2 and move it to oil and gas  
7   fields. One of the things that my company has done, we  
8   have built some pipelines because we believe in the  
9   enhanced oil recovery process. And we are currently  
10  building a pipeline from Donaldsonville, Louisiana to  
11  Houston. And you can see that by the dashed line as  
12  demonstrated on the map.

13           So some things to help solve that. One of the  
14  things the states can do is make the -- give some rights  
15  to the company to install the pipeline, eminent domain  
16  rights. And the State of Louisiana has given us some of  
17  those rights along the way. And, also, as was mentioned  
18  earlier this morning to me, there are old pipeline  
19  systems in place that could be refurbished and used for  
20  CO2 capture. The third item that I would like to say is  
21  an obstacle is capital markets, or capital. Our  
22  projects are typically very capital intensive. Our  
23  projects from start to finish take at least three years.  
24  It is similar to an offshore platform where you drill  
25  the discovery well and then two or three years later you

1 begin to produce oil. Well, that is very similar to our  
2 process. It's very capital intensive. It takes at  
3 least three years before we begin to make oil  
4 production.

5           Some of the things that we have seen that have  
6 helped us, the State of Louisiana gave us a tax  
7 abatement to recover our capital, until we recover our  
8 capital. So that was a big help for us to spend money  
9 in the State of Louisiana. The State of Mississippi has  
10 given us tax reductions. The normal severance tax in  
11 the State of Mississippi is six percent severance tax.  
12 And they reduced that for enhanced oil recovery to three  
13 percent, and that definitely encouraged investment in  
14 the State of Mississippi. So those type of programs can  
15 encourage investments in various states. Another major  
16 obstacle for us in the State of Texas is unitization.  
17 There are tremendous -- or big, big reservoirs; big, big  
18 fields in the State of Texas. And in comparison, the  
19 State of Louisiana, you are able to force the  
20 unitization of the reservoir. And that is primarily  
21 done to conserve and to protect the reservoir and to  
22 prevent waste, to protect earlier rights of the mineral  
23 owners. The State of Texas has chosen not to force  
24 unitization. They allow production on a lease basis.  
25 And that represents major obstacles when Company "X"

1 owns 25 percent of the reservoir and Company "Y" owns  
2 another 25 percent and my company owns 20 percent. It's  
3 virtually impossible to CO2 that reservoir. So I think  
4 there needs to be some legislation effort in the State  
5 of Texas to encourage operators to unitize to protect  
6 the reservoir and prevent waste.

7           The fifth item that I think that needs some  
8 help is technology. As Ms. Jaffe mentioned earlier, and  
9 other folks, most of the -- most of the work in the  
10 domestic U.S. has been on unconditional natural gas  
11 sources, the Barnett Shale, Haynesville Shale and the  
12 Marcellus Shale. We never hear any technology on the  
13 black oil reservoirs. Black oil reservoirs are sort of  
14 the forgotten resource in our country. We import 19 --  
15 wait. We use 19 million barrels of oil per day. And to  
16 put that in prospective, my little company makes 40,000  
17 barrels of oil per day. We are a \$3 billion company.  
18 We are like the dot -- not even a dot on the "I" in  
19 terms of how much oil we use in this country. So there  
20 needs to be some type of domestic energy policy to  
21 encourage domestic oil production. I think that is  
22 essential. We import of that 19 million barrels of oil  
23 per day that we use, we import 14 million barrels. 14  
24 million. Every time -- every time you fill gas in your  
25 car or when I fly home tonight in an airplane, I'm using

1 a portion of those barrels. It's hard to imagine our  
2 life without the conveniences we have, so that amount of  
3 energy creates a tremendous burden on our system.

4 CO2 cannot solve this shortfall. I don't want  
5 to imply that at all. But every barrel we produce from  
6 our country is important. It can help. The last  
7 obstacle I see, and it ties into what Ian is about to  
8 talk about, is the relationship between EOR and  
9 sequestration. The big buzz word in our country is  
10 carbon capture and sequestering the waste gas CO2. So  
11 the logical solution in my mind for this CO2 is to use  
12 it in the enhanced oil recovery process. I think it  
13 becomes a win-win situation for everyone. We can  
14 dispose of the CO2 molecule and at the same time use it  
15 to produce domestic energy. There is an obstacle for  
16 that. It sounds real simple on paper.

17 In most states there is a conflict between who  
18 owns the mineral rights -- I don't know how to say this  
19 -- and who owns the sequestration rights. And I can  
20 just give you an example for the State of Wyoming  
21 because that is the one I'm aware of. The mineral  
22 rights are owned by the royalty owners. The  
23 sequestration rights are owned by the surface owners.  
24 So if I am an oil and gas company and I want to use CO2  
25 for enhanced oil recovery, I flood my field. And when

1 I'm done, how do I -- how do I make the transition from  
2 mineral royalty to surface ownership for the  
3 sequestration rights. It becomes a very complicated  
4 issue. And I think the states have to help us solve  
5 that issue.

6 Finally, to put this into perspective, ARI --  
7 and I think they are an independent research company --  
8 in 2008 estimated that the original oil in place along  
9 the Gulf Coast states was 44 billion barrels of oil. So  
10 I'm going to repeat that. 44 billion barrels of oil  
11 along our four states. They estimate an additional 7  
12 billion barrels of oil can be recovered from CO2  
13 operations. So in my mind, it's not when should we use  
14 this process, it really -- sorry, let me back up. So  
15 it's not when we should use this process, it's when will  
16 we use it. We must use it. And we need to universally  
17 get this moving in a much faster pace than we have in  
18 the past. That is it.

19 MS. FURY:

20 Thank you. Okay. Now we will move onto --  
21 I'll introduce Ian Duncan, and Ian is with the Bureau of  
22 Economic Geology, University of Texas. And he is going  
23 to talk to us about the future of carbon sequestration.

24 MR. DUNCAN:

25 Thank you. My name is Ian Duncan. I'm the

1 associate director for environmental systems at the  
2 Bureau of Economic Geology, University of Texas at  
3 Austin. The Bureau is the second largest research  
4 institute at the University of Texas. I say that  
5 because people often ask me what is the largest one.  
6 Well, it's the applied research lab, but I can't tell  
7 you what they do there but it involves carbon fibers and  
8 backscattering of radar and things like that. The  
9 Bureau has been working on carbon sequestration related  
10 issues for nearly 10 years. I have been working on it  
11 for 5 years. It's a very exciting field.

12 Texas and the Gulf Coast have the largest  
13 carbon footprint of any area within the United States.  
14 Texas, for example, if it was an independent country, I  
15 think would rank No. 7 in terms of carbon production.  
16 This is not because the people who live in Texas or the  
17 people who live in the energy coast are bad people.  
18 It's because we produce a lot of the energy for the rest  
19 of the country. So all of these pipelines radiate out  
20 from the Gulf Coast carrying gasoline and other products  
21 and a lot of the carbon emissions related to the  
22 petrochemicals and the refineries here are credited to  
23 the energy coast. As well as having the largest carbon  
24 footprint, the energy coast also has the largest  
25 capacity within the United States to do something about

1 these emissions. So we have the largest sequestration  
2 capacity that is co-located with emissions probably in  
3 the world. There are other places that have just as  
4 large a capacity but they don't have the emissions of  
5 CO<sub>2</sub>, so they are basically stranded with sequestration  
6 sources.

7           So a concept has developed called carbon  
8 capture and storage. And the idea is that we capture  
9 CO<sub>2</sub> from stationary sources, compress it, transport it  
10 and then inject it deep underground to somewhere it will  
11 stay hopefully forever. The main stationary sources  
12 that we are talking about are power plants; coal power  
13 plants, possibly natural gas power plants. Just an  
14 interesting aside there, in Texas there is actually more  
15 CO<sub>2</sub> being emitted from natural gas power plants than  
16 coal power plants, just because of how much power gets  
17 generated in Texas from natural gas. Natural gas  
18 generates about 42 percent of the CO<sub>2</sub> per kilowatt hours  
19 of a coal plant. Some people have the impression that  
20 natural gas is the clean fuel and therefore emits no  
21 CO<sub>2</sub>. Well, it's slightly less than half.  
22 Unfortunately, post-combustion capture of CO<sub>2</sub> from flue  
23 gases is rather expensive, and that is because CO<sub>2</sub> is a  
24 fairly dilute component in flue gas from power plants.  
25 For example, a typical coal power plant flue gas is

1 about 88 percent nitrogen and 12 percent CO2. So when  
2 we are capturing the CO2, what we are trying to do is  
3 grab those 12 percent of CO2 molecules out of this vast  
4 vent of hot nitrogen that is going up the smokestack.  
5 For natural gas plants, the situation is even worse.  
6 The CO2 content is on the order of 4 percent, so it's  
7 even more expensive.

8           So at the moment, if you had to set up a  
9 capture plant today using existing commercially  
10 available technologies, we believe that the capture from  
11 a coal plant, post-combustion capture, is going to be on  
12 the order of 30 to \$40 a ton. Capture from natural gas  
13 plants, on the order of 70 to \$80 a ton. Now, it turns  
14 out if you do the math, those costs are fairly  
15 comparable because you have got more kilowatt hours per  
16 molecule of CO2 in the natural gas plants, so it's about  
17 even in terms of cost if you look at it on the basis of  
18 kilowatt hours of electricity. The hope of the  
19 Department of Energy is to get capture costs down on the  
20 order of \$5 a ton. However, at the moment there is no  
21 technology that comes close to doing that that has ever  
22 been tested on a scale larger than, say, you know, a  
23 bread box. In other words, it's at the test tube level.  
24 So we have no technologies that we know of that are just  
25 about to become commercial. So this is definitely a

1 problem. Capture is by far the largest component of  
2 cost in carbon capture and storage.

3           Now, what do we know about carbon  
4 sequestration. Well, we have over 37 years of  
5 experience injecting CO2 into oil fields, and this is by  
6 far the largest tangible evidence that we have of what  
7 happens when you try and do CO2 sequestration into  
8 geological reservoirs. We have transported from the  
9 Permian Basin in Texas about 600 million tons of CO2  
10 over the last 37 years, and we have injected probably  
11 more than 1,200 million tons. The reason we have  
12 injected more than we transported in the pipelines is  
13 that you recycle the CO2. So when you produce the oil,  
14 the CO2 separates out at the surface; as it  
15 de-pressurizes, you capture that and re-inject it. So  
16 we have a larger injection experience than we have in a  
17 pipeline transportation experience.

18           My personal experience -- my personal specialty  
19 at the moment is evaluating the risks associated with  
20 CO2 sequestration. I just got a \$2 million Department  
21 of Energy grant to work on that over the next 4 years.  
22 One of the interesting things is that in this  
23 transportation of 600 million tons of CO2 and 1,200  
24 million tons of injection, we have never had a single  
25 serious accident in terms of anybody getting injured and

1 no fatalities. One of my problems in terms of doing  
2 risk analysis is it's very hard to do statistics on what  
3 we call the null set. In other words, if you have no  
4 incidents, you can't extrapolate the future, so that is  
5 my problem that I have to deal with. So the EOR  
6 industry has an excellent safety record.

7 In the Gulf Coast, Charlie talked about ARI's  
8 estimates about 7 million -- billion barrels of oil  
9 produced from CO2 EOR. Some of my industry friends  
10 think that is unduly optimistic. But it's of that order  
11 of magnitude. In other words, it's billions of barrels  
12 of oil. I would prefer to say somewhere like 3 to 7  
13 billion barrels of oil depending on how optimistic you  
14 are and also depending on what oil prices do and how the  
15 CO2 market evolves and a whole bunch of other  
16 impugnrables. The one thing that we do know is that  
17 that is a small fraction of the CO2 that is going to be  
18 emitted from the energy coast over the next 50 years.  
19 Chances are we are going to emit, if things go on the  
20 way that they are going on, extrapolating in a linear  
21 sense what is happening, we will be emitting 40, 50, 60  
22 billion tons of CO2 over the next 50 years. So the  
23 chances are that only about 10 percent of that could  
24 ever be used in CO2 EOR.

25 However, we also in the energy coast have a

1 very large capacity for brine sequestration. This is  
2 putting CO2 into formations a mile or more beneath the  
3 surface into water that is typically three times the  
4 salinity of seawater, so it's highly unlikely to ever be  
5 -- I don't know why you would ever want to desalinate  
6 something that is three times the salinity of seawater.  
7 Obviously, it's going to be cheaper to desalinate  
8 seawater. So you are putting it into very salty brines  
9 and putting in into places where we believe as  
10 geologists that it's going to be sequestered on a scale  
11 of hundreds of thousands or potentially millions of  
12 years. There is a lot of research going on looking into  
13 what the possible risks of this are. My group is  
14 spending a lot of effort in trying to look at whether  
15 this could potentially harm water resources, freshwater  
16 resources, etc., etc. But this looks like it is a way  
17 that we can get rid of the order of magnitude of CO2  
18 that is going to be produced in this region over the  
19 next 50 years.

20           Now, I hesitate to talk about this in a  
21 situation here where you are talking about  
22 sustainability because this is not sustainable in the  
23 long-term. In other words, we are not going to be doing  
24 carbon sequestration in another 200 years. We probably  
25 will not be doing it in another 100 years. What carbon

1 sequestration does is it gives us a breathing space to  
2 develop new sources of energy. So it is not a new way  
3 of doing business that is just going to carry us on  
4 forever. We have a finite sequestration capacity.

5           There are also some niches in the energy coast  
6 where CO2 sequestration might have multiple benefits. I  
7 know some of you are here from the Wetlands Foundation.  
8 One of the things we are interested in is can we restore  
9 Wetlands using CO2 sequestration. And we might be out  
10 to do something beneficial there. Part of my purview at  
11 the Bureau is coastal geology, coastal hazards in  
12 wetlands. And we know in Texas and also in Louisiana  
13 that production of fairly shallow gas reservoirs has  
14 lead to subsidence of wetlands. And there are areas  
15 along the Texas coast where I can show you examples  
16 where we have got satellite imagery and aerial  
17 photography showing an area of wetlands and then ten  
18 years later half of it is submerged and you can see the  
19 fault. And what happened in the meantime was a shallow  
20 gas reservoir was produced. If we put CO2 down into  
21 some of these gas reservoirs and we pressurize the  
22 reservoir back up, you will recover some, but not all of  
23 that compaction that occurred when the gas was produced.

24           So we are very interested in what is called  
25 enhanced gas recovery, putting CO2 in the gas fields and

1 seeing if we can get some more gas out of them and  
2 basically filling them up with CO2. Just to give you an  
3 example, I did a little study concerned with the W.A.  
4 Parish Power Plant in Houston, Texas, which is one of  
5 the largest coal fire power plants in Texas and along  
6 the Gulf Coast. It produces about 15 million tons of  
7 CO2 a year. I have looked at all of the oil fields  
8 within 50 miles and looked at how much CO2 that it would  
9 use up, and it would never happen this way, but you  
10 could basically fill up all of those fields with two  
11 years of production from the Parish plant of CO2. The  
12 Parish plant is about 30 miles from the Katy gas field,  
13 which was a 5 TCF gas field which is now no longer  
14 producing. It has about 2 TCFs of gas left in it. And  
15 it would take about 15 years of the Parish plant's CO2.  
16 So that just gives you some idea of how much CO2 you  
17 could put into the natural gas fields. It's not  
18 necessarily an economic thing in that CO2 is very bad  
19 for natural gas. It destroys the economics of it. So  
20 you have -- nobody has ever successfully done an  
21 enhanced gas recovery project with CO2. So we are not  
22 quite sure how it will work or whether it would be  
23 economic.

24 Also, I did some rough back of the envelope  
25 calculations that would suggest that to make it

1 economic, you would probably need \$12 gas, which I for  
2 one wouldn't like to see, but that is just me. In terms  
3 of obstacles to making all of this happen, obviously  
4 cost is a major obstacle. I am supposed to be giving a  
5 talk on the transition between fossil fuels and  
6 renewables in Beijing next month. And one of the points  
7 I'm going to make is that this transition, should it  
8 occur, is going to be the first major transition in  
9 energy that is driven by government policies and not by  
10 economics. So it's going to be interesting to see how  
11 all of this plays out.

12           Now, in terms of obstacles to CO2  
13 sequestration, I think legal obstacles definitely are  
14 significant. Of course, ownership is a prominent one.  
15 Regulation is another one. At the moment in Texas, if  
16 you were doing a CO2 EOR project and you decided to turn  
17 it into just a sequestration project, even if it was  
18 just your thought process changed, you would move from  
19 being regulated by the Railroad Commission to being  
20 regulated by TCQ, Texas Commission on Environmental  
21 Quality, because the law is based on what your intent is  
22 which is inside your head rather than what you are  
23 doing. Sort of interesting. There is also issues about  
24 liability that I think are going to become more  
25 important and there are issues about having the people

1 power to do it.

2           The Congress in their infinite wisdom shut down  
3 the oil and gas research program within the Department  
4 of Energy about two years ago. And so there is a  
5 decline in the number of people -- students being  
6 trained in oil and gas. And it's that same expertise  
7 that you need for carbon sequestration. So that is a  
8 major problem, whether we are going to have the people  
9 who can do this. And people smarter than me who have  
10 looked at this thing say that in order to put away the  
11 amount of CO2 that people are saying we need to put away  
12 into sequestration, we have to have an industry on the  
13 scale of the current petroleum industry in this country,  
14 which means we essentially have to double the number of  
15 people being trained. A lot of this is going to fall  
16 down into this region. This is where a lot of the  
17 people are trained, this is where the expertise is. And  
18 most of the expertise on transporting CO2, compressing  
19 CO2 and injecting CO2 is down here in the energy coast.  
20 Thank you. Oh, I would just like to apologize. I  
21 didn't have any slides. I didn't have any videos. I'm  
22 not writing a book. And I keep my money in a coffee jar  
23 in the freezer. Thank you.

24           MS. FURY:

25           Thank you very much. I would like to go

1 ahead and open up the floor to questions from the panel.

2 MR. MARMILLION:

3 Well, I have to ask the obvious question.  
4 If this region is going to be penalized for the amount  
5 of domestic oil and gas consumed, what kind of policy  
6 can we encourage that does not allow this penalty to  
7 move more aggressively forward? I mean, how can we as a  
8 region produce oil and gas for consumer demand and be  
9 penalized for doing it, and where does this interaction  
10 begin to take place where policy can be better informed  
11 or -- I understand the politics behind this, but how can  
12 we better inform this region that this is a looming  
13 threat?

14 MR. DUNCAN:

15 I think that is a major problem. One of  
16 the things that is hurting the region at the moment is  
17 that because many of the state governments here are  
18 controlled by fairly conservative Republicans, they are  
19 not getting a seat at the table up in D.C. It's partly  
20 because our politicians say, well, we don't like what is  
21 happening, therefore we are going to boycott it. It's  
22 partly that, I guess, people down here are busy doing  
23 what they are doing and aren't paying as much attention  
24 maybe. I don't know.

25 I have testified three times in the last eight

1 months to Congress on these issues, but I don't think we  
2 have enough involvement by our state government leaders,  
3 our governors, our congressional delegations. I don't  
4 know so much about in Louisiana, but, you know, Texas  
5 does not have the same kind of clout that it used to  
6 have 10, 15, 20 years ago in Congress. You know, we  
7 used to have a lot of speakers of the house, we used to  
8 have a lot of seniority, we used to have senators like  
9 Lloyd Benson whose --

10 MR. DAVIS:

11 You used to have presidents.

12 MR. DUNCAN:

13 We used to have presidents. And I think  
14 this area is losing out by not getting a voice in a lot  
15 of these decisions that are being made. And I think  
16 that a lot of the -- there is a thing called RGGI, which  
17 is the New England States' carbon thingy. And they are  
18 getting together and they are putting rules and  
19 regulations, and a lot of this stuff is going to end up  
20 dominating what happens in the federal sphere. And the  
21 perspective from down here is not being heard enough, I  
22 don't think. And I think that is problematical. You  
23 know, I think it's misleading to say that, you know, we  
24 are the problem, we are the CO2 problem. Everybody in  
25 the country is the CO2 problem. It just happens to be

1 focused here because that is where all of the  
2 petrochemical plants are and so on, but everybody is  
3 using the gasoline.

4           So it would be -- I think I gave testimony  
5 about 14 times in the last legislative session in Texas  
6 and several of the representatives and committee  
7 chairman made the same point you are making; you know,  
8 well, this is not fair. But just because it's not fair  
9 doesn't mean that the rules, the legislation that comes  
10 out of Congress is going to be fair. The only way to  
11 change that is by speaking up and having a voice.

12           MR. PEELER:

13           In my view, it goes beyond fair and unfair.  
14 When we have a hurricane, we get blamed for causing the  
15 price of gasoline to increase in Maine and everywhere  
16 else. But then we get told that we don't have enough  
17 refineries, we need more refining capacity, we need a  
18 refinery everywhere we turn. Well, who is going to  
19 build one of those. But then on the flip side, EPA,  
20 which has a lot of clout in our society, they say that  
21 the refineries are responsible for 4 percent of the  
22 emissions, okay. But then they really hook big oil by  
23 taking the tailpipe emissions and adding that back to  
24 the refinery to get the refinery up to 44 percent. So  
25 we have no Michael Moores in our corner for Republicans

1 or Democrats to listen to.

2 MR. DAVIS:

3 I have one point I would like your thoughts  
4 on. The issue of fairness, I agree that, you know, it  
5 may be unfair, but that doesn't mean that it doesn't  
6 happen. And it also doesn't mean we can't get smarter  
7 about how we play the game from our end. And I do think  
8 that as we have talked in previous AEC meetings that the  
9 tone of conversation that comes from this region too  
10 frequently politically is that climate change and carbon  
11 management is a philosophical, political issue, not a  
12 management issue. And I think we need to find ways of,  
13 you know, collectively making -- getting past that  
14 because it's very clear that it is now a management  
15 issue.

16 And, secondly, and this is what really  
17 intrigued me about Mr. Duncan's presentation, is that if  
18 we really are looking at something that is going to be  
19 managed roughly at an industrial level equivalent to  
20 what we now see at least the petrochemical side of  
21 energy being, if we do see that the opportunities for  
22 doing something significant and developing techniques is  
23 actually centered in this energy coast, are there ways  
24 that we within this conversation here can begin to  
25 develop that intellectual capital, whether it's in the

1 universities, whether its through industry partnerships  
2 or NGO partnerships. Because it really strikes me that  
3 is, you know, the place where if we are going to develop  
4 the efficiencies to bring the costs down to address the  
5 technical legal or policy or philosophical hurdles, no  
6 one is going to do it for us. We have to start that  
7 conversation amongst ourselves. And, first of all, do  
8 you think that makes any sense? And if so, do you have  
9 any thoughts for what the next steps should be?

10 MR. DUNCAN:

11 I think you are exactly right. I think  
12 that the energy coast down here has the potential to  
13 actually turn this into a win-win situation. I think at  
14 the moment people in Houston, you know, people in  
15 Louisiana have the expertise that has been gathered over  
16 the last 30 years or so injecting CO2 pipeline CO2. One  
17 of the first pipelines in the world was built from  
18 Central Mississippi down into Louisiana, now being run  
19 by Denbury. And so there is a huge amount of expertise  
20 here. And I think the universities, academic  
21 institutions, community colleges can start -- should be  
22 starting to think about getting into this in terms of  
23 training people, in terms of developing research  
24 expertise. And I think that that would be a good way  
25 for state governments to start going to invest in this.

1 So I think you have really nailed the -- nailed -- what  
2 is it --

3 MR. DAVIS:

4 I was just listening to the two of you. So  
5 thank you.

6 MS. FURY:

7 I have two questions. And, Todd, could you  
8 pull up a map. We had put together -- we have a map of  
9 pipelines and I just wanted to ask you, Charlie, when  
10 you talk about capital investments and the use of CO2 in  
11 applying it, you know, to oil field for enhanced  
12 recovery, key is capital. And one of the things that we  
13 do have an abundance of that is part of the equation is  
14 we have existing infrastructure. And if that  
15 infrastructure could be converted to transport CO2, I  
16 guess the question is, do you see that potential?

17 MR. GIBSON:

18 It's possible. We are building a pipeline  
19 from Baton Rouge to Houston and it's costing us about \$2  
20 million a mile, so put that in perspective. So it's a  
21 several million dollar deal. So if you could use some  
22 of the infrastructure that is already in place, the  
23 capital will be reduced. I just don't know -- I'm not a  
24 pipeline expert by any means, so I don't know which  
25 pipelines are active and inactive.

1 MS. FURY:

2 Yeah. And the point being that there is  
3 just a lot of it, so thoughtful, you know, about looking  
4 to the future what this actually could help to develop  
5 here. But I guess on the other side going to the policy  
6 side -- and, Ian, maybe you can answer this -- the  
7 current direction of policy, is it directed towards --  
8 it is directed towards carbon capture, but is it really  
9 directed towards reuse of it or just stick it somewhere  
10 so we don't see it again?

11 MR. DUNCAN:

12 Well, the only significant reuse of CO2 in  
13 this world is for enhanced oil recovery. The other uses  
14 are very, very small in terms of quantity. So the main  
15 uses for CO2 other than EOR -- and they would be some  
16 small percentage of the EOR usage -- is for creating  
17 your favorite carbonated beverage, as well as Coors and  
18 Budweiser. Apparently all of this natural fermentation  
19 is a total lie. One of the things that we had to do  
20 when we did our first CO2 injection in Houston was we  
21 could only do the experiment in the winter time. We  
22 wanted a couple thousand tons of CO2 and the only CO2  
23 available -- everybody wants to get rid of it; but when  
24 you want some, you can't get it. I should call Denbury.  
25 So food grade CO2 is the only CO2 available in Houston,

1 and it costs about \$300 a ton. And you can only get it  
2 in the winter time because in the summertime beer  
3 consumption goes up and it's all being used by Coors and  
4 Budweiser and you can't buy it. Sorry, I digressed.

5 MS. FURY:

6 No, thank you. Any other questions for the  
7 panel?

8 MS. HANRAHAN:

9 Yes, just one here. With the current focus  
10 on climate change in the direction of the legislative  
11 procedures, there is an anticipation of a potential  
12 carbon tax or cap in trade or some type of value on  
13 carbon. Would you just like to comment on what role you  
14 see that playing with the use either for enhanced oil  
15 recovery or sequestration?

16 MR. GIBSON:

17 Again, that is not my expertise, but we are  
18 actively talking to industries about capturing their  
19 CO<sub>2</sub>, and it's constantly a topic when we talk to, say, a  
20 DOW Chemical and we try to capture their exhaust CO<sub>2</sub>;  
21 it's always a question of who is going to get the cap in  
22 trade credits, so it's a real issue in everyone's mind.  
23 But as far as Denbury's concerns, as far as increasing  
24 the number on enhanced oil recovery fields, it's not  
25 included in our economics on a field by field basis.

1                   MR. DUNCAN:

2                   Every time I testified to Congress in the  
3 last year or so the chairman of the committee has asked  
4 me what I thought about cap in trade. And I replied  
5 that I try not to think about it. It makes my head  
6 hurt. But that is basically because I didn't want to  
7 answer the question because I'm not an expert in this  
8 kind of thing, and you destroy your credibility with  
9 Congress if you start pontificating on things that you  
10 know nothing about. However, since this is not on  
11 Congressional record, I am prepared to pontificate. I  
12 think that if you get a significant price on carbon,  
13 it's going to have a huge effect on the industry. You  
14 know, the devil is in the details about how it all works  
15 out and so on. But at the moment, if you look at an EOR  
16 project, about 40 percent of the cost of the project is  
17 buying the CO2; about another 40 percent or so is the  
18 recycling, capital equipment for the recycling plant,  
19 building the recycling plant.

20                   And largely because of these two things, what  
21 Charlie said is true, it takes three or four years  
22 before you even get your cash back; in other words, your  
23 cash flow is in the negative for the first four, five,  
24 you know, six years. They probably got their cash back  
25 faster. They were doing the Permian Basin; they have

1 better recoveries. It might be seven or eight years  
2 sometimes on a permanent basis. So these are not only  
3 cash intensive projects, but you have a negative cash  
4 flow for a large number of years. And I don't do this  
5 kind of thing, but people who do invest money say that  
6 having a seven-year negative cash flow is pretty rough;  
7 it's not something that people like. So if you get a  
8 significant carbon price such that the carbon price is  
9 larger than the actual cost of the CO2. So typical cost  
10 for CO2 at the moment is probably out in the Permian  
11 Basin at least 12, \$15 a ton, let's say. So if you have  
12 a \$20 or \$30 price on carbon, then all of a sudden CO2  
13 rather than being the biggest cost of the project would  
14 start to turn up in the positive of the balance sheet  
15 and it will change your capital, your cash flow  
16 significantly and make these projects a lot more  
17 interesting to do; that is if the EOR project gets the  
18 benefit of these. But potentially it could increase.  
19 Also, it may change the way CO2 EOR actually takes  
20 place.

21           At the moment -- and, again, Denbury is the  
22 exception to the rule. But most people do something  
23 called "Wagging," which is water-assisted gas; they put  
24 in slugs of CO2, slugs of water. The reason they do  
25 that is they are trying to minimize the amount of CO2

1 they use. And so a lot of technologies have evolved to  
2 minimize CO2 usage. So you can see that maybe if the  
3 economics change, also it will drive technological  
4 innovation where you might have a different approach  
5 where you are trying to maximize the amount of CO2 being  
6 used. Which if we do it smart, you might actually  
7 increase recovery.

8           As a matter of fact, the Bureau is doing a  
9 fairly large project at the moment, part of the carbon  
10 sequestration partnership that Denbury's Cranfield field  
11 -- I always have trouble with that, the Cranfield field.  
12 Where what we are doing is injecting about a million  
13 tons of Denbury's CO2 down deep in the water level so  
14 it's down deep at the oil field. And we have monitoring  
15 wells and we are going to look as the CO2 moves from the  
16 brine -- that is our experiment. We promised the DOE we  
17 would put a million tons of brine. Well, that CO2 is  
18 going to continue to move up and it's going to go  
19 through the residual oil field. It's going to be very  
20 interesting to see how much of that residual oil --  
21 because normally you don't mess with it. The EOR  
22 actually gets mobilized and pushed up into the oil  
23 field. So we will have a rather large scale experiment  
24 to see whether you can increase recoveries by getting  
25 down into the residual oil reserve. So things like that

1 are going to start to happen.

2 Back in the 1980s there was another CO2 flood  
3 in Weeks Island, Louisiana where they did what is called  
4 a gravity stable flood where they put CO2 at the top of  
5 the field and pushed it down, and that had a recovery of  
6 like about 68 percent of the oil in place, which is  
7 huge. And that was just a little testing. So these  
8 kind of different technologies approach to the EOR could  
9 increase the amount of CO2 used and also increase the  
10 return of oil. Sorry for such a long answer.

11 MS. FURY:

12 No, thank you. And just to comment to  
13 close that, the comment you made, Ian, relative to the  
14 time for investment, you know, trying to shorten that  
15 time for investment when you actually see some returns.  
16 As energy development here in the Gulf of Mexico  
17 continues to move to deeper and deeper water, that is  
18 what we are faced with. It's five to seven to ten  
19 years. And, therefore, if you look at the portfolio of  
20 players, the people who can play are only the people who  
21 can afford that kind of investment for a long period of  
22 time before reaping anything back. So if you want  
23 people to play in CO2 for enhanced oil recovery,  
24 shortening that will be important.

25 MR. DUNCAN:

1                   That is another reason why you will  
2 probably never get CO2 EOR in the offshore fields in our  
3 lifetime because the wells are so far apart. If you  
4 inject CO2 into one, it will take such a long time to  
5 have any effect in the production well. The economics  
6 are terrible.

7                   MS. FURY:

8                   All right.

9                   MR. MARMILLION:

10                  I have one tiny, tiny point for Mr. Gibson.  
11 And it would be very helpful if you -- and I know this  
12 is going to put you on the spot, but if you have thought  
13 about this policy that deals with this issue of who owns  
14 mineral rights and sequestration rights, some language  
15 at some point will need to be floated, and we would  
16 appreciate having that from you.

17                  MR. GIBSON:

18                  Our people are working with, in particular,  
19 the State of Texas, where we are trying to unitize a  
20 field and at the same time get sequestering rights. So  
21 it's an EOR project and a sequestering project  
22 simultaneously. So as soon as we get that language,  
23 I'll be happy to share it with you.

24                  MS. GAUTREUX:

25                  One thing very briefly that was mentioned

1 at our task force meeting, MMS is also going to have to  
2 consider policies in terms of if a field is finished  
3 with production, do you make them close it up or  
4 preclude an opportunity for carbon sequestration? And I  
5 think that is something a lot of businesses are going to  
6 have to consider as well. So that is an interesting  
7 policy question.

8 MR. GIBSON:

9 As we talked this morning, MMS should  
10 really consider delaying the plugging and abandonment of  
11 these monster fields. The small fields are not an  
12 issue. But the big monster oil fields, I think it would  
13 be wise to hold onto those structures, if possible.

14 MS. GAUTREAU:

15 Thank you. All right. Thank you very  
16 much. And let's move on to our next panel. That was  
17 very interesting and informative. Moving on to the  
18 energy spectrum, we are going to look at the potential  
19 for alternative energy development in the Gulf corridor.

20 Okay. We are going to start this session. And  
21 just because the battery ran out, I'm going to repeat  
22 that we are moving on to the potential for alternative  
23 energy development in the Gulf corridor. And the first  
24 speaker on this topic -- and we are looking at the  
25 alternative energy outlook -- is John Guidroz, Free Flow

1 Power.

2 MR. GUIDROZ:

3 Thank you very much. I wanted to first  
4 thank you very much for your mission, your goals and the  
5 way you work. I'm a 10th generation from Louisiana. My  
6 family has been down here for some time and I have a  
7 camp down in Terrebonne Parish and I grew up fishing out  
8 in it. It has gone from freshwater fishing to saltwater  
9 fishing and a few hurricane hits that has been sort of  
10 serious and noticeable over the last 10 years. I am in  
11 energy. My father and his brothers are all in the  
12 energy sector, as well, down in Terrebonne Parish. So  
13 it's an honor to be here and thank you for the  
14 opportunity to discuss renewable energy development  
15 potential in the Gulf corridor.

16 My name is John Guidroz. I am director of  
17 development with Free Flow Power Corporation. Free Flow  
18 Power is the developer of over a hundred hydrokinetic  
19 and hydropower generation projects in the United States.  
20 Our projects on the Mississippi River within the Gulf  
21 corridor have the capacity to generate over 600  
22 megawatts of clean, renewable electricity at a price  
23 that is competitive with all corners of renewable energy  
24 generation. These projects will increase our energy  
25 independence and security while reducing our greenhouse

1 gas emissions and stimulating the regional economy with  
2 new jobs and affordable electricity prices.

3           Hydropower works. In 1940, 40 percent of our  
4 nation's electricity came from hydropower. That was  
5 before anyone cared about greenhouse gas emissions.  
6 Concerns over the environmental impact of dams have  
7 since reduced the hydropower share of the U.S. energy  
8 generation to only 7 percent today. Even though hydro  
9 accounts for 75 percent of all renewable energy  
10 generated in the United States, until recently there has  
11 been a widespread perception that there is little or no  
12 opportunity to grow hydropower. Thanks to the recent  
13 technology advances, regulatory reforms and legislative  
14 incentives, this prognosis has changed.

15           And I really want to make two points today.  
16 First, the Gulf corridor has an extraordinary  
17 opportunity in developing hydrokinetics. Hydrokinetic  
18 energy, for those of you that don't know, is energy  
19 generated from the free flow of water in rivers, tides,  
20 currents or conduits without requiring a dam or any  
21 diversionary structure. Hydrokinetic turbines are  
22 submerged and have little or no visual impact. The  
23 Mississippi River Basin is the largest channelized river  
24 system in our planet. It drains more than 40 percent of  
25 the North American Continent. The Gulf corridor has

1 established itself as a leader in servicing energy  
2 infrastructure and green environments. These two facts  
3 make our region well positioned to be the first in the  
4 world to commercialize hydrokinetics on a utility scale.

5 Other forms of renewable energy generation like  
6 wind and solar were really developed in other countries  
7 and since brought to the United States fully baked, and  
8 later embraced. But we have a river system unlike any  
9 other in the world and it's up to us to realize our  
10 nation's potential in hydropower. Free Flow Power is  
11 currently investigating conditions on over 80 sites  
12 along the Mississippi River, including all sites of the  
13 river adjacent to the city of New Orleans, which we  
14 believe collectively to have a potential to generate  
15 well over 600 megawatts of electricity. Our turbine  
16 generator system has been developed with slow-moving  
17 rotors, few moving parts and no chemical lubricants in  
18 order to avoid harm to fish and any other aquatic life.  
19 We are planning to install a demonstration project  
20 within the next year on the Mississippi River and plan  
21 to submit applications to the federal energy regulatory  
22 commission and the Army Corps for licenses at the end of  
23 2010. We are about two and a half years into a  
24 five-year process.

25 Qualified hydropower, which includes

1 incremental generation on existing hydroelectric  
2 facilities and new hydropower on existing dams is also  
3 an extremely valuable source of renewable energy. For  
4 example, there are about 75,000 dams in the United  
5 States, only 2000 of which produce electricity. Most of  
6 these dams, which were built for flood control, water  
7 supply or irrigation purposes aren't going anywhere.  
8 They are there to stay. And we can fulfill the  
9 objective of generating renewable energy from these  
10 sources within the Gulf region without new environmental  
11 effects by putting them to work.

12           The second thing I wanted to touch on is the  
13 perception of hydropower does not have the same growth  
14 potential as other renewables like wind or solar is  
15 incorrect. New technologies and a leveling of the  
16 playing field in terms of federal and state incentives  
17 are making this potential very real. Legislative  
18 incentives on renewable energy are critical drivers of  
19 progress. The proliferation of wind projects is a  
20 direct result, for example, of the federal tax  
21 incentives and state level renewable portfolio standards  
22 that have recognized wind as a valuable renewable  
23 alternative. Hydropower is growing more slowly than  
24 wind or solar in large part because it does not have the  
25 same incentives as wind and solar. In September of last

1 year, Congress passed a production tax credit for  
2 hydrokinetic generation and qualified hydropower equal  
3 to 50 percent of the credit that applies to wind  
4 projects. More importantly, this February Congress  
5 extended a 30 percent investment tax credit to  
6 hydrokinetic and qualified hydropower projects in lieu  
7 of the production tax credit.

8           So now for the first time ever, these most  
9 benign forms of hydropower are on a level playing field  
10 with wind and solar energy in terms of tax incentives.  
11 Adoption of renewable electricity standards would  
12 include hydrokinetics and qualified hydropower as a  
13 groundbreaking step towards creating a market for these  
14 categories of renewable energy and stimulating  
15 investment in qualified projects.

16           I'll close with a quote from Dr. Steven Chu,  
17 whose is Secretary of the U.S. Department of Energy. He  
18 made these comments two weeks ago during a White House  
19 forum on clean energy technologies. Quote, I have heard  
20 repeatedly that hydropower in the United States is maxed  
21 out. It's not going to expand anymore. And for a  
22 while, I just listened and said, This must be true. But  
23 then we began to look at it. And since I've become  
24 secretary, I have really looked into it. The exact  
25 numbers may differ, but in our estimates we have 70

1 gigawatts of additional hydropower which would have  
2 minimal impact. The fact is, 70 gigawatts -- 70  
3 gigawatts of new and 96 gigawatts today of hydro, so we  
4 are going to nearly double it. 70 gigawatts is 70  
5 nuclear power plants, maybe 100 new coal plants. If you  
6 look at the economics of hydro, it's far less than any  
7 of those. It's one of the best kept secrets. All of us  
8 at Free Flow Power are excited about the opportunity to  
9 grow hydropower and believe it is critical to our  
10 achieving energy independence and addressing climate  
11 change. Thank you very much for this opportunity to  
12 appear.

13 MS. GAUTREUX:

14 Thank you, John. Our next speaker is Art  
15 Johnson and he will tell us about the future of hydrate.

16 MR. JOHNSON:

17 Okay. Let's see, I guess we will go. I  
18 have some slides to show on this. I'll show some slides  
19 that I presented to house and senate committees a few  
20 months ago. And also I got to spend the afternoon with  
21 Secretary Chu. And it's not often one gets to correct  
22 the scientific misunderstandings of a Nobel prize  
23 winner, but I got the opportunity to do that. I have  
24 been working actually on hydrate since I was at Chevron,  
25 and I was real appreciative of Sandi calling me up last

1 week asking me to present this. I have been an advisor  
2 to the administration actually going back to the Clinton  
3 years. I keep getting re-appointed. I say I give  
4 advice; that doesn't mean anybody takes it.

5 But the next slide is kind of critical. And I  
6 show this at every presentation I give, whether it's the  
7 high school group, civic groups or to cabinet members.  
8 It's our total energy demand in the United States, all  
9 sources. What is our supply? And the main point here  
10 is oil and gas is about two-thirds of that, and coal is  
11 almost a fourth. The renewables -- this slide needs to  
12 be updated a little bit. I think renewables are up to  
13 about 7 percent. But, again, about half of that is  
14 hydro. In fact, over half of that is hydro. And my  
15 message to the Secretary and to Congress is, Don't  
16 dismantle the U.S. oil and gas industry until you  
17 actually have something to take its place, and right now  
18 you don't. And I'm amazed they keep re-appointing me.  
19 I think it's for comic relief or something. But a key  
20 number down there is that one at the bottom, and at 2008  
21 -- and we are probably holding pretty close to that --  
22 about 24 trillion cubic feet, 24 TCF per year. I want  
23 you to hold that number in your mind because I'll be  
24 showing some other numbers that will be able to sort of  
25 play against that.

1           Let's show our next slide. This actually I  
2 pulled from the Department of Energy. They are looking  
3 at going out to 2030 for power generation. What their  
4 estimate is, coal is going to increase and gas is going  
5 to decrease. And I said, What on earth are you thinking  
6 of here in terms of carbon and all of the rest. What  
7 they are saying is the reason behind that is they don't  
8 believe the gas resource is going to be there to  
9 displace coal and so a big part of what I have been  
10 working towards is how do we find the gas resources.  
11 Because, again, I think the shale gas is big and it will  
12 continue to grow, but as we look out 30 years we need to  
13 have additional resources as well.

14           Let's go on to the next one. We will talk  
15 about gas hydrate. What this is, if you have gas and  
16 water together under conditions of high pressure and low  
17 temperature, they form a solid. And anyone who has  
18 worked in the gas industry on a cold winter's day has  
19 found hydrate. We learn to hate hydrate. It forms in  
20 pipelines and clogs them. Well, those same conditions  
21 also occur in nature in deep water areas in the  
22 sediment, in the deep water Gulf of Mexico and, in fact,  
23 on every continental margin and also in arctic areas. A  
24 couple of things about it. Again, it concentrates gas.  
25 A cubic foot of gas hydrate will give you a 160 cubic

1 feet of natural gas and also a little bit of water. I  
2 also note CO2 forms a hydrate as well. You can make CO2  
3 hydrate. We do that in our lab, and I'll tell you a  
4 little bit about hydrate for sequestration at the very  
5 end. But it's very abundant.

6           And I want to talk about -- the next slide. A  
7 picture of it. You can light it and it burns; everybody  
8 likes it; you can hold it in your hand and it burns, but  
9 let's move on. From our drilling program -- and, in  
10 fact, I have to tell you, I've worked international,  
11 I've worked hydrate programs in a lot of countries. And  
12 they figure they have got success when you have a chunk  
13 of hydrate and you can hold it in your hand and it  
14 burns. And, yet, from a commercial standpoint, that  
15 isn't the resource; it's going to be the hydrate that is  
16 in the pore space of a sand that you probably aren't  
17 even going to be able to see. But there is no hype in  
18 that. So like when our boat came in after doing work  
19 off of Chile, the president of Chile was there to meet  
20 the boat so he could see pieces of hydrate burn. And as  
21 a scientist, I have a real hard time with that; and as a  
22 business person, even more so because I look at how do  
23 you make money off of a resource, not how do you get  
24 your picture in the paper for it.

25           The big thing here is every continental margin

1 we found it. We found a lot of it in the Gulf of Mexico  
2 both on the surface, which is not really the resource,  
3 but also in the subsurface. Next picture, next slide.  
4 This one, it gets thrown around a lot, and it's a little  
5 bit misleading, but it says, Where is all -- What is the  
6 global carbon distribution? And really what this one  
7 says is there is as much carbon tied up in gas hydrates  
8 worldwide as all of the oil, gas and coal combined.  
9 Now, that number may be wrong. Some people are saying,  
10 no, it's only about half of that, to which I say fine.  
11 But that is not really our issue; not how much it is,  
12 but in what form it is.

13           Next slide, please. This is the one we are  
14 using now as our gas hydrate pyramid. At the top of the  
15 pyramid is where I actually have arctic sandstones with  
16 hydrate where we already have infrastructure, places  
17 like the Park River, Milne Point, Bruno Bay. There we  
18 have tens of TCF in hydrate. Away from a structure,  
19 other parts of the north slope are into the hundreds.  
20 Deep water Gulf of Mexico, we are talking thousands of  
21 TCF. Now, remember that number I was telling you about,  
22 that 24 TCF per year is what we use. That thousands of  
23 TCF is why we are interested here. And the question is,  
24 can we make a business out of this. Is this something  
25 that from an environmentally-sound point and a

1 commercial standpoint we can make a go at. By  
2 comparison, the resource on the right tells you what the  
3 other gas resources look like, in terms of reserves and  
4 then undiscovered.

5           Basically, the smaller pyramid, conventional  
6 gas is about equal to the big -- the top of the big  
7 pyramid. That deep water low permeability, you will  
8 hear them talking about hundreds of thousands of TCF in  
9 a hydrate, but the fact is, it's a few percent dispersed  
10 in shale at 10,000 feet of water. That isn't even a  
11 hazard. It's certainly not a resource. Next. So our  
12 challenge is we have to identify where is the hydrate  
13 concentrated, we have to establish commercial viability  
14 and we have to establish environmental impact assessment  
15 protocol. We want to make sure that we can do this  
16 safely. Next.

17           So our production scenarios -- and I'm going to  
18 be showing you just to give you a heads-up. Within the  
19 next year we will probably be proving or disproving  
20 commercial viability. We are that close with the test  
21 going on. What you can do with this because it's  
22 stable at high pressure/low temperature, either  
23 de-pressurize it, treat it like a coal bed methane --  
24 and we have done that on the north slope of Alaska. You  
25 can heat it, and we have some technology for that where

1 you use about 10 percent of the gas you produce to heat  
2 the reservoir and get more gas up. Or the fun one that  
3 we are getting ready to test is chemical exchange; put  
4 CO2 into the reservoir and you end up with a CO2 hydrate  
5 permanently parked because of the pressure/temperature  
6 conditions and you produce the methane out. Next.

7           Some things we have going on north slope of  
8 Alaska, BP has a project there with three-fourths of the  
9 funding coming from DOE. We drilled in 2007, we  
10 confirmed our exploration model. We can find the stuff.  
11 Again, this is arctic. So bear with me, I'll bring us  
12 back to the Gulf Coast. We did confirm we could produce  
13 it, we have a long-term production test coming up this  
14 winter. And ConocoPhillips has a CO2 sequestration test  
15 planned. And if they can get all of the partners  
16 together on that one, January is when they start. It  
17 will be a January through April project. Next. This is  
18 the ConocoPhillips version of it. You basically put the  
19 CO2 in and you get the methane natural gas out. But  
20 another one, just another approach that we have looked  
21 at -- next. This is one of our designs. Again, putting  
22 the CO2 in, in one well and get the methane out the  
23 other. I should also mention that because the CO2  
24 hydrate is far more stable than a methane hydrate, we  
25 can even go into wet sands that don't contain any gas,

1 just water, put CO2 into them and form a CO2 hydrate  
2 there. And, again, very long-term sequestration.

3 I was also mentioning to Ian, when it comes to  
4 concentrating, to liquify the CO2 right now they are  
5 doing a three-stage compression test. Very energy  
6 intensive. Do one phase of it, take it to 300 PSI, add  
7 some water and make a hydrate; when you dissociate the  
8 hydrate, you get liquid CO2. Half the energy. We have  
9 done this. So there is a lot of technology and a lot of  
10 things we can do here. Next.

11 Go to Gulf of Mexico. MMS has done a terrific  
12 job of doing the geology right, putting all of the  
13 pieces together. It's called a petroleum systems  
14 approach. Their assessment, again, with a lot of  
15 unknowns here, there is a wide range of values; they  
16 came up with an estimate of 6,717 TCF in sandstone  
17 reservoirs. Remember that number. 24 is what we use  
18 per year. Last April, Chevron -- we have a consortium  
19 led by Chevron. They logged hydrate-bearing sands in  
20 the Gulf of Mexico. It's out there. Next. So real  
21 quick, Canada has a production test, Japan is going for  
22 their offshore. And, again, don't think of Japan as a  
23 major producer of anything in terms of hydrocarbons.  
24 They are going to be testing in 2011, on production  
25 2015, ramping up to 1 TCF a year from the Nankai Trough,

1 which is amazing. That is still not going to solve --  
2 they are using 20 TCF a year. They are using almost as  
3 much as we are, or will be by that time. India, China,  
4 South Korea; and we are involved with all of these.  
5 Next.

6           So to conclude, we are looking again -- this is  
7 really my message to Congress. They have been  
8 underfunding this program for years and we are finally  
9 getting some funding for it. By 2015 we think we are  
10 going to be able to be producing this in the arctic. We  
11 are going to understand what is happening in the marine  
12 environment. They have already spotted -- some of the  
13 research we have done, worked with some companies -- for  
14 Shell and Chevron people, we have talked to your  
15 competitors. There are hydrate prospects around  
16 existing platforms. When you get to the point of  
17 certain depletion and you are ready for, gee, I have got  
18 some spare capacity on my platform, there are hydrate  
19 prospects out there and within a few years they will be  
20 doable. And, again, on the left is the Canadian flare.  
21 Thank you.

22           MS. GAUTREUX:

23           Thank you. I have not seen that before.  
24 That is really interesting.

25           MR. JOHNSON:

1           If anyone wants a presentation; companies,  
2   civic groups, foundations, whatever, talk to me. I'll  
3   will be happy to chat with you.

4           MS. GAUTREUX:

5           All right. Continuing the transmission of  
6   good information will be Mike Karst with Entira, and he  
7   will talk about biomass potential on the Gulf corridor.

8           MR. KARST:

9           My name is Mike Karst. I'm a senior  
10   partner in Entira. I was formerly with BASF Chemical  
11   working in agricultural chemicals and designing 20 year  
12   strategic planning for BASF. I have got some slides as  
13   well. If we could just go to the second slide. As I  
14   sat here and listened today, it occurs to me that the  
15   agricultural industry looks at the Gulf Coast in a  
16   totally different way. We see weather patterns that  
17   have favorable rainfall, long growing seasons and lots  
18   of sunshine. We really don't look at the ocean too  
19   much. You have got those slides. If we look at the  
20   Gulf Coast, one of the things that you can see in the  
21   chart here, the darker the red the more intense the crop  
22   production. You have some very heavy row crop  
23   production in the Gulf Coast. The gray areas that you  
24   see are great because those are primarily pine forests.  
25   So that is still a very positive biomass.

1           One thing -- one myth I would like to dispel;  
2 many people have heard of 20 million acres of land  
3 available in the United States for biomass production.  
4 Now that we cover all 50 states at looking at biomass,  
5 if it's there, I don't know where it's at. With  
6 commodity prices of \$6 per bushel for corn, \$15 for  
7 soybeans last year, \$20 for wheat; if a farmer had an  
8 acre of land, it went into production. So if land is  
9 not in row crop production today, it's unlikely it's  
10 ever going to go into row crop production.

11           In this area there are some easy alternative  
12 crops. Energy cane, very close relative to sugar cane.  
13 And energy sorghum, very close relative to sorghum that  
14 is grown. A key point -- and I heard a question earlier  
15 about water usage. You know, sugar cane uses a lot of  
16 water, rice uses a lot of water, corn uses a lot of  
17 water. Energy sorghum doesn't use much water at all,  
18 and it creates a high level of good quality biomass. If  
19 we could go to the next slide. You may be wondering why  
20 I'm talking about cattle. There is a reason that crops  
21 are produced where they are. The red area in Texas is  
22 cattle feedlines. And what do cattle eat, they eat  
23 corn, they eat sorghum and they eat wheat. So any time  
24 we take an acre of production and use it for anything  
25 other than the crop that it's used on today, it has an

1 impact somewhere else on our value chain. If we take  
2 the area of Texas that is growing corn and sorghum and  
3 wheat to feed those feedlines and put it into energy  
4 crops, where are those cattle going to go, where are we  
5 going to get our steaks for tonight. Next slide.

6 This is a fairly complex slide I guess. The  
7 food, feed and fiber value chain. You will notice  
8 industrial and fuel is not on there. When this was  
9 done, alternative fuels -- this was done in the early  
10 2000s I guess. Alternative fuels were just getting  
11 started. As we begin to put processing for alternative  
12 fuels and use the acres that have been growing food,  
13 feed and fiber and grow something else, we must change  
14 other aspects of the value chain. You know, ethenol got  
15 blamed for the high corn prices last year. Amy  
16 mentioned the devaluation of our currency. If we really  
17 look at it, that cheap currency allowed overseas nations  
18 to buy up our corn supply. The effect of ethenol was  
19 about a nickel per bushel when it went up about 3 or \$4  
20 a bushel. So any significant amount of acres of any  
21 alternative crop to be used for energy or fuel  
22 production will without a doubt affect our food supply  
23 and the cost of food. There is just no way around it  
24 unless, of course, there is 20 million acres hiding  
25 somewhere in North America. Next slide.

1           Growers are the people who maintain the acres.  
2   There was a comment earlier about the surface owner has  
3   the sequestration right. The surface owner is who is  
4   going to grow these crops. And there is only eight  
5   things that a grower really needs. Competitive  
6   profitability. We can ask the grower all day long to  
7   grow switchgrass, miscanthus, any energy crop; if it  
8   doesn't outcompete his next lowest profit margin crop,  
9   they will never grow it, no matter how nicely we ask.  
10  There has to be a sustainable market. Farmers by their  
11  nature are relatively untrusting of people coming and  
12  saying, Hey, I've got a great deal for you. They want  
13  to see steel on the ground, they want to know it's being  
14  processed. More importantly, their bankers won't loan  
15  them the money unless they see the processor supply  
16  agreements with people like you sitting around the  
17  table. If someone says they will build a pellet mill  
18  for biomass and they are going to contract with the  
19  farmers, the banker needs to see the supply agreement  
20  that the pellet mill has to sell the pellets.

21           The crop has to disappear every single year.  
22  They need risk mitigation tools, crop insurance,  
23  government programs, marketing tools. They need the  
24  capital from the banks. I heard earlier that an oil  
25  well takes two to three years before -- from the time

1 you start building it to the time it goes into  
2 production. Perennial alternative crops take two to  
3 three years from the time they start planting it to the  
4 time it's ready to start harvesting. The difference is,  
5 the farmer gives up one hundred percent of their revenue  
6 on that acre every year until they start harvesting. So  
7 they just take a zero. In fact, they are taking a loss  
8 because they still have the cost of maintaining that  
9 acre with no revenue at all in some cases.

10 Landlord approval. Most land in the United  
11 States is not farmed by the people who own it. Most of  
12 it is owned by people like us. People who live in  
13 cities, people who inherited it from grandma and  
14 grandpa. And they are used to getting a check every  
15 year. So when we ask a farmer to take a three-year loss  
16 of revenue, we are really asking the landlord in Chicago  
17 and New York and L.A. to bear with us, we will pay you  
18 in three years. And guess what, those landlords are not  
19 going to do that unless we find some way to help them  
20 upfront to get over that hurdle. Government program  
21 inclusion; we will talk about that in just a little bit.  
22 That is a big one. Agronomic tools and support. In  
23 many ways, we don't know how to grow these crops. We  
24 were having a side discussion here about miscanthus,  
25 which is one of the popular energy crops. The blades

1 are like razor blades. You can't even begin to get  
2 close to it. It cuts you up. So farmers aren't too  
3 keen about growing that crop.

4           And, finally, there is labor. Farmers struggle  
5 with well qualified labor. When you are asking someone  
6 to climb into a 250 to \$400,000 piece of equipment, you  
7 want someone who has an education, not someone you  
8 picked up off the street to climb in. Next slide. Risk  
9 mitigation and capital I mentioned. It does include  
10 crop insurance, which we don't have for alternative  
11 crops. Marketing tools. Think of how would a farmer  
12 sell switchgrass today. Someone has to offer him a  
13 price; whereas in typical crops they are pricing against  
14 the Chicago Board of Trade. They know how to hedge  
15 their crops; they know how to play the marketing games,  
16 which help them mitigate their risks. We don't have  
17 that for any alternative crops. Capital includes  
18 operating loans to establish crops and to offset the  
19 lost revenues in the early years. If we are asking  
20 someone to grow a ten year crop and they don't get their  
21 first full harvest until year three, they will not -- a  
22 farmer will not survive that period of time. They don't  
23 have the capital reserves.

24           Government programs are huge. Every farmer --  
25 most every farmer in America participates in government

1 programs in some way, whether that means they are  
2 getting a counter-cyclical payment if the world price of  
3 corn goes into the tank, and they get their payment to  
4 keep them alive, or whether they are being given  
5 subsidies to put in environmental programs on their  
6 land. Alternative crops don't qualify right now. "B"  
7 cap is helping. But if we ask a crop farmer to switch  
8 to switchgrass, which is a logical trend, they give up a  
9 hundred dollars an acre on their cotton subsidy base  
10 acres right off the bat. So we can't compete with that  
11 hundred dollars. The programs vary by program, by  
12 state, by county, even by individual farmers. So the  
13 complexity is enormous and we have to get into -- get  
14 the new crops into the programs. Next slide. So that  
15 is it. If you have any questions, please ask. Thank  
16 you.

17 MS. GAUTREUX:

18 Okay. Thank you. We will ask for Kara's  
19 presentation next on emerging technologies for  
20 alternative energy, and she is with the New Orleans  
21 Regional Planning Commission. And, Kara, can you please  
22 tell me the correct pronunciation of your last name.

23 MS. RENNE:

24 Certainly. It's Kara "Ren-Knee."

25 MS. GAUTREUX:

1                   "Ren-Knee." Thank you.

2                   MS. RENNE:

3                   And as you stated, I am a planner at the  
4 Regional Planning Commission. The Regional Planning  
5 Commission, just for those who are unfamiliar, is both  
6 the metropolitan planning organization and the economic  
7 development district for the five parish area, which  
8 includes St. Tammany, Orleans, Jefferson, St. Bernard  
9 and Plaquemines Parishes. Once a month the elected  
10 officials come to our venue and basically they discuss  
11 issues that are regional in nature, both related to  
12 transportation and economic development. About a year  
13 ago we co-hosted a workshop with MWH Engineering, and  
14 this workshop really focused on how we could work on  
15 building a more sustainable region by reducing our  
16 carbon footprint. We had a series of speakers that came  
17 from across the country and some international. One of  
18 the highlighted keynote speakers was Andy Mangan of the  
19 U.S. Business Council for Sustainable Development. And  
20 we were really intrigued by Andy's byproduct synergy  
21 program and really thought this would be a great thing  
22 to get launched within the Greater New Orleans area. So  
23 I'm here sharing today a little bit about byproducts  
24 synergy and what the U.S. Business Council for  
25 Sustainable Development does.

1           The U.S. Business Council for Sustainable  
2 Development is actually a member of a larger coalition,  
3 which is the World Business Council for Sustainable  
4 Development, which is an organization which has more  
5 than 200 companies and is CEO lead. They basically come  
6 around the three pillars of economical growth,  
7 ecological balance and social progress. Next slide,  
8 please. The U.S. Business Council has multiple members  
9 throughout the country, and I really wanted to  
10 acknowledge one of its supporting leading members that  
11 is here today, and that is Shell, and we have Mary  
12 Margaret Hamilton here who is on the board, actually, of  
13 the U.S. Business Council for Sustainable Development.

14           MS. HAMILTON:

15           Thank you.

16           MS. RENNE:

17           Next slide, please. Really what the U.S.  
18 Business Council for Sustainable Development does is  
19 they work to create public/private partnerships and they  
20 work to break down silos, so that way you have more of  
21 the public sector and the private sector talking and  
22 really, more importantly, different companies within the  
23 private sector starting to cross fence lines. Next,  
24 please. What they do through the byproducts synergy  
25 process is they bring together all of the business

1 leaders, the plant managers, and have concerted  
2 discussions. And in these discussions what they do is  
3 they talk about their waste products, their inputs and  
4 their outputs. And a lot of times what will happen is  
5 they will find synergies based upon products that they  
6 may not have -- that they are able to build or able to  
7 develop that was not possible previously internal just  
8 to their own company. So they are able to look outside  
9 of their fence lines, and what was a waste product for  
10 one company now becomes something -- a new raw material  
11 for another company. Next, please. This slide here  
12 just kind of shows the traditional production process  
13 where Company "A" produces its waste and it goes to  
14 disposal, whereas Company "B" has its raw material and  
15 makes its product. Next slide. What this does is this  
16 next slide shows really that closed-loop process that I  
17 had discussed. And through this process, companies are  
18 able to cut pollution, save energy, reduce their  
19 material costs, improve their internal processes and  
20 improve their bottom lines. This is quite different,  
21 just so you know, than a materials exchange because what  
22 it does is it proactively seeks opportunities and it  
23 also allows for more continuity of operations because  
24 people are able to identify partnerships with other  
25 companies and then have a reliable product and be able

1 to know what they are going to be capable of sourcing in  
2 the future.

3 Presently there are a number of byproduct  
4 synergy projects that have taken off across the country.  
5 Chicago is really a leader in this. Houston also has an  
6 active program. ConocoPhillips, Shell and Dixie  
7 Chemicals were all founding partners of the Houston  
8 project. Mobile also has one that they just launched in  
9 May. And we would like to get one going in the Greater  
10 New Orleans area. The hope is that eventually we could  
11 knit all of the Gulf Coast byproduct synergy processes  
12 together. Here is just a list of participants, and you  
13 can see that there are a great diversity of different  
14 organizations that are involved. You can see everyone  
15 from the City of Chicago Department of Water Management  
16 to Kraft Foods. And that diversity is really one of the  
17 keys to a successful byproduct synergy project. They  
18 found that having a lot of different kinds of businesses  
19 is where the synergies really start to arise because  
20 most people know their businesses inside and out  
21 already.

22 Some of the success stories that have come out  
23 from the BPS projects that have already taken place  
24 since 2007, Chicago's Waste to Profit network cut more  
25 than 50,000 tons of CO2 equivalent emissions. They also

1 diverted 22,000 tons of landfill-bound waste, and in one  
2 year created four and a half million dollars in savings  
3 and new revenues. Kansas City, who also has a program  
4 that launched, cut a little over 19,000 tons of CO2 and  
5 140 tons of NOx a year. And the Houston BPS project is  
6 really kind of taken a forum focus on greenhouse gas  
7 reduction opportunities. DOW Chemical has done BPS  
8 projects internal to their own organization and they  
9 were able to achieve an annual cost reduction of \$15  
10 million per year, and that was really just looking at  
11 all of their companies internally and not even reaching  
12 across the fence lines. We talked about Chicago and I  
13 think Kansas City's. They were also able to divert over  
14 33,000 tons per year. One of the really interesting  
15 projects that has taken place has been over in England  
16 in the UK. They have made this a national program. And  
17 what they have done is created a database that has all  
18 of the inputs and the outputs from the companies. And  
19 by doing this, they have had significant achievements.  
20 They were able to create and retain over 2000 jobs, and  
21 their -- it stimulated private investment over 116,000  
22 pounds -- or million pounds. I'm sorry.

23           Moving forward, the New Orleans Regional  
24 Planning Commission has reached out to GNO, Inc. and we  
25 are hoping to get their participation helping to recruit

1 companies. Right now we have had several discussions  
2 with local companies about their interests in helping to  
3 be a champion partner in our area, but we are still  
4 waiting for a positive response.

5 MS. HAMILTON:

6 I just wanted to add a couple of real-life  
7 examples of what waste to -- one person's waste is  
8 another person's treasure or feedstock. At the Shell  
9 refinery in Putrid Sound, we had spent caustic soda.  
10 And if you think Fred wasn't a technical person, I'm  
11 really not a technical person. So there is this spent  
12 caustic soda that was being shipped by railroad lines  
13 down to the Gulf Coast for disposal. And you don't want  
14 to go into the CO2 and everything with that. What we  
15 found through being part of this project is there was a  
16 pulp and paper mill within five miles of our refinery  
17 that could use this spent caustic soda as feedstock.  
18 So, you know, win-win for everybody.

19 One that I do understand a lot better than  
20 spent caustic soda, and it has nothing to do with my  
21 industry, but it does have to do with Owens Corning had  
22 glass shades that they had to put into landfills.  
23 Within two miles of where their headquarters are was a  
24 countertop maker that needed the glass as shininess for  
25 the synthetic countertops that we have. So instead of

1   having to spend money to dispose of it, ship it and the  
2   environmental damage that could be done or the impact  
3   that was done, that they found uses for it there. So I  
4   think this especially here -- and, Mr. John, I'm talking  
5   to you with the industry. I think it's a good  
6   opportunity for the industry in this area to find  
7   creative ways of using some of our waste products that  
8   is here and finding new ways of using it. And I am the  
9   rush committee for the U.S. Business Council, so if  
10  anybody wants to be involved, please let me know and we  
11  can talk later on. But thank you, Kara, for giving this  
12  and I really hope you will think about being a part of  
13  this project.

14                   MS. GAUTREUX:

15                   Let me ask, I noticed the U.K. seemed -- or  
16  England seemed to take pretty good statistics and track  
17  what they were accomplishing. Has there been any  
18  thought recognizing that their business profile is going  
19  to be a little different than what we have down here?  
20  Has there been thought given to looking at the  
21  particular connections they made and then hunting down  
22  and using the rush committee to go approach those  
23  particular businesses for those kinds of win-wins?

24                   MS. HAMILTON:

25                   Yes.

1 MS. GAUTREUX:

2 I knew you would be on top of this.

3 MS. HAMILTON:

4 Yes, we are looking at all of that. And,  
5 actually, this was the U.S. project that the British  
6 took over and then just ran away with it and made it a  
7 national program that is not only just in England, it's  
8 in Ireland and Scotland. So we are looking at it. And  
9 Kara is heading us up here for this region. For those  
10 of you in other regions, we do have other things going  
11 on. And if you would like to talk about a project in  
12 your areas, let us know too.

13 MS. GAUTREUX:

14 Very good. Thank you. Any questions from  
15 our panel?

16 DR. TWILLEY:

17 I have one.

18 MS. GAUTREUX:

19 Robert.

20 DR. TWILLEY:

21 It was an interesting presentation. And I  
22 guess, you know, when we formed this group, one of the  
23 things that we wanted to make sure we tried to cover is,  
24 you know, the challenges of actually being in a deltaic  
25 system because we have this watershed that is up there

1 that really influences. So we do look out for the ocean  
2 and look at what is going on. So I want to tell you how  
3 complicated this is down here from a watershed  
4 perspective, and I would like to get some response.

5           For example, you know, the hydrokinetics from  
6 John, you know, which is -- you are right. It's one of  
7 those untapped -- I have heard industry talk about the  
8 tapping on the water flow. And so the challenge is -- I  
9 guess what I'm curious is if you know of any examples  
10 where you can expand the hydrokinetics in a major  
11 deltaic system and watershed and not disrupt the  
12 sediment that we need for our restoration program?

13           MR. GUIDROZ:

14           Sure, absolutely I can comment on that. We  
15 are actually in the middle of a study plan phase right  
16 now under the federal energy regulatory commission  
17 guidelines. What that means is we are being asked to  
18 study and prove a number of elements of the projects,  
19 including sediment transfer. The modeling we are using,  
20 the tests we are planning to conduct will all be done in  
21 2010, so I will have more results for you as we move  
22 forward. But all of our analysis thus far shows very  
23 minor interruption to sediment transport. We are  
24 neutrally in the water column, so the bed movement  
25 predominantly is further down in the water column than

1 where we are. The heavier sediment, in other words, is  
2 deeper.

3 MR. JOHNSON:

4 If I could add to that as well. I'm past  
5 president of the New Orleans Geological Society and we  
6 have been having symposia with the levee commissioners  
7 and all the rest. One of the things that came up in our  
8 most recent symposium was the idea of considering the  
9 sediment in the river as a resource; that is something  
10 that should not just be dumped out into deep water as  
11 it's done now. And, actually, to some extent, slowing  
12 the flow of the river will cause more sediment to drop  
13 out, making it easier to collect and use for  
14 restoration. So, in fact, what I think -- and a lot of  
15 what I think we have seen today is the best economics  
16 come when you start leveraging one technology with  
17 another; that the waste product of one becomes the  
18 feedstock of another. The CO2 you are trying to  
19 sequester can be used for something else. All of these  
20 things begin to interact. And from the oil industry  
21 perspective, it's that value chain that we all  
22 discovered about 20 years ago that, you know, the whole  
23 is worth more than the pieces sometimes. And I think  
24 that is true here as well. That we need to look at that  
25 whole broad picture and how it plays into the coastline.

1           And some of the energy crops we are looking at  
2 that use far less fertilizer. Well, we have a dead zone  
3 off of our coast that I think most people would say is  
4 largely due to the amount of fertilizer waste. If we  
5 could develop crops that use -- especially on some push  
6 land or whatever, or crops where we have in the sugar  
7 industry that one year in three or four where the land  
8 lies foul that we grow sorghum on that. The use of  
9 things that don't require a lot of fertilizer and can  
10 get us energy, we start leveraging one and the other and  
11 all together there is an economic benefit. I think we  
12 have to make sure we are not fighting against each  
13 other, but working together.

14           MR. KARST:

15           If I could make a comment. I have a real  
16 pertinent point. If you look at some of the things that  
17 we have just talked about on the perennial crops, many  
18 of those would be placed outside the levee protection up  
19 river from New Orleans with the goal of, one, being able  
20 to grow a significant crop outside the levee; but,  
21 secondly, to stop soil erosion drastically. The second  
22 thing is that the carbon sequestration plans that are  
23 being put forth in row crops in the upper midwest are  
24 demanding or requiring very little soil disturbance and  
25 maximum soil residue left on the top, which will greatly

1 slow sediment flow from farther upstream. So what is  
2 being done up there to be environmentally correct could  
3 harm you here.

4 DR. TWILLEY:

5 Yeah. I mean, we don't yet have the  
6 metrics of finding benefits that occur up in the  
7 watershed that actually influence our situation relative  
8 to the restoration down here. I mean, there is not a  
9 basin level accounting of risks, you know, that you have  
10 to deal with on a farmland and seeing how that risk also  
11 translates to what we are dealing with with risks down  
12 here. And basin-wide risk analysis is really what is  
13 required in any of these enterprises. And there are  
14 some win-wins. In fact, I was going to ask, you know,  
15 do you know of a situation where actually a diversion in  
16 a hydroelectric actually worked very well together. And  
17 it's the old river control structure. I mean, that is a  
18 fabulous win-win situation because it is a situation  
19 where it is -- you know, it generates hydropower. And  
20 probably the only land building that is occurring in our  
21 coast right now, of course, is Wax Lake in Atchafalya,  
22 which is there because of the old river control  
23 structure of diverting the river.

24 And I think the idea of settlement of sediment  
25 and geographically where that occurs, if you have that

1 added cost to get that down here, where nature would do  
2 it for free, then there are some real economics there  
3 that you really have to take into account. But I guess,  
4 you know, this is our challenge as a group here is to  
5 try and make sure that whatever risk aversion is done  
6 upstream to pay benefits for those industries and  
7 activities upstream don't cause us more risk downstream.  
8 And in the case of ethenol production, we saw an  
9 increase in nitrate loading to our coast. When corn  
10 went to \$6 a bushel, our nitrate levels in the river  
11 went up. So we have to do a risk aversion related to  
12 what, you know, you would expand upstream, because that  
13 is what has got us where we are today. And I think some  
14 -- I don't know how that is done, but I think that is  
15 one of the outcomes of, hopefully, our panel up in  
16 Washington. We have to get it back to where we did --  
17 and we did this at one time. Big river basin analysis  
18 of how we manage these resources. And so I really  
19 encourage it. If you can help us push that, we will be  
20 much appreciative down here on the end of the river.

21 MR. FALGOUT:

22 Mike, you mentioned you probably don't have  
23 20 million acres of new land available anywhere in North  
24 America, but we probably have a couple of million that  
25 is turning into shallow open water in Coastal Louisiana

1 and is quite capable of growing aquatic plants that  
2 could be turned into biomass. And hundreds of thousands  
3 of those acres are privately owned and have the  
4 opportunity with river diversions and turning the system  
5 fresher to grow water hyacinths or other plants,  
6 hopefully, that could be converted into biomass and it  
7 may be some opportunities for land that has been never  
8 used to grow plants for commercial purposes. And I'm  
9 going into that business, believe me.

10 MR. KARST:

11 It must be an interesting opportunity, but  
12 many of the crops they grow in those areas are actually  
13 prohibited species or non-native invasive species that  
14 the federal government has programs in place where they  
15 spent millions of dollars to eradicate what you might  
16 consider a crop in that land.

17 MR. FALGOUT:

18 Well, we will talk.

19 MS. FURY:

20 Can I ask a question to follow that up? Is  
21 that an issue, a governance issue too? I mean, are some  
22 of the crops that you would grow not allowed due to the  
23 fact that --

24 MR. KARST:

25 A good example would be Chinese tallow

1 trees, which are non-native invasive species right here.  
2 People call them "chickenfoot" trees. Tremendous oil  
3 producing tree, but you can't get the farmer to even  
4 think about growing them because they have been trying  
5 to kill them for 50 years, and the government has been  
6 paying them to kill them. So it may take a generational  
7 reversal to make something like that happen.

8 MS. GAUTREAUX:

9 Well, from a TNC perspective, I kind of  
10 hope that doesn't happen in terms of inviting invasives.  
11 But at the same time, there is a huge need for  
12 eradication, so perhaps during the eradication process  
13 if we could figure out how to utilize those wood  
14 products that we are paying people to get rid of, you  
15 know, and maybe getting rid of some of those aquatic  
16 invasives in the production of bio-energy is where we  
17 need to look.

18 We are kind of running a little bit late, so  
19 what I would like to do, if it's okay, is move on to the  
20 next panel, but I want to thank you-all. That was a lot  
21 of good information.

22 MS. FURY:

23 Okay. Our last panel of the day. I think  
24 it's a good way to wrap this thing up and it's really  
25 talking about innovative science/private sector

1 collaboratives and what they have to offer. And we are  
2 going to hear from two speakers about projects that are  
3 in play today. And I think based on what we have heard  
4 today, I think there is plenty of opportunity for more  
5 projects in the future. So with that, I will introduce  
6 our first speaker, and that is Dr. Robert Twilley of LSU  
7 and he will talk about coastal sustainability studio.

8 DR. TWILLEY:

9 Thanks. My comments are somewhat specific  
10 related to higher education in two different areas of  
11 energy and water, which I think are pertinent to us.  
12 Some of the discussion today -- and I was actually going  
13 to try to expand it a little bit. The National Academy  
14 published a report that as much as 85 percent of the  
15 measured growth in the U.S. income per capita from 1890  
16 to a 1950 period could not be explained by increase in  
17 capital stock or by other measurable inputs. The  
18 unexplained portion, this 85 percent, was referred to as  
19 residual, and has been highly attributed to the effects  
20 of technological change that occurred in industry during  
21 that time. And one very important part of that  
22 residual, that 85 percent of per capita income increase  
23 during that period was, at that time, the vast expansion  
24 of engineering and scientific education efforts to meet  
25 that technological change that occurred in our society.

1           And what I would argue is what you have heard  
2 today are these technological changes -- and you know  
3 this region was probably at the forefront of that  
4 technological change and that per capita income and the  
5 engineering that was involved with that. But what I  
6 would argue is that what we are discussing here today  
7 and the technological changes that we see that is going  
8 to be faced for our society in the future, it will be  
9 incredibly important to keep in mind that a large part  
10 of that formula is investments we make in higher  
11 education and in our engineering capacity.

12           Recently, however, in education and industrial  
13 circles there is a concern that we as a nation are not  
14 producing enough engineering graduates at all levels,  
15 either undergraduate, master's or Ph.D. This is not  
16 only reported in the popular press, but also by leading  
17 institutions such as the National Research Council. For  
18 example, let me give you some numbers. In 2004, more  
19 than 600,000 engineers graduated from institutions of  
20 higher education in China. In India, that figure was  
21 350,000 students in 2004. In the U.S.A., we graduated  
22 70,000.

23           There is also outsourcing of both jobs and  
24 facilities. According to the National Academy study, in  
25 2004 chemical companies shut down 70 facilities and

1 tagged 40 more for closure in 2005 in the U.S., but  
2 there were 120 large chemical plants worth more than a  
3 billion dollars that were being built around the world,  
4 and only one of those plants was being built in the U.S.  
5 More than 50 of those plants were being built in China.  
6 For the cost of one chemist engineer in the U.S., a  
7 company can hire five in China and 11 in India.  
8 Assuming that the financial incentives can be improved,  
9 that remains an issue of support for student education  
10 and maintenance of engineering and teaching and research  
11 facilities at all universities.

12           Unfortunately, there are two things that are  
13 occurring right now that work against any kind of  
14 maintenance of our engineering capacity and facilities  
15 in higher education. One is inadequate expansion of  
16 research funding from all sources. And second is an  
17 emphasis of government funding agencies on the sides  
18 over engineering and research funding. This is in  
19 itself inducing an unhealthy bias against teaching  
20 engineering, even in engineering schools, because the  
21 scramble for research funding is leading more of us in  
22 higher education towards theoretical approaches than  
23 actually partnering in more traditional concerns of how  
24 to solve problems in engineering that can support the  
25 public sector.

1           Funding for academic research that was  
2   essential to keep university programs alive is either  
3   shrinking or not keeping up with inflation. What is  
4   difficult in academic funding, particularly for civil  
5   and environmental engineering, and also I would argue  
6   that for the new technological engineering that you  
7   described here today, is that the major sources for  
8   industrial support for these engineering is moving away  
9   and into these specialties that are occurring, such as  
10   information management and technology. That is the new  
11   funding sources for engineering in higher education, not  
12   the funding for more of the civil and environmental and  
13   I would even argue what I would call non-traditional  
14   energy engineering. Because the public sector focus is  
15   very important to these other engineering components;  
16   and, again, such as civil and environmental. And the  
17   point I want to make here is that the type of  
18   engineering that is really getting cut and the type of  
19   funding that it traditionally needs to have is  
20   engineering that goes toward the public sector problems.  
21   And what we are moving toward is we are funding  
22   engineering, but they are in areas of more theoretical  
23   and types of funding that doesn't solve the kind of  
24   problems that we are discussing here on the Gulf Coast.  
25           Much has been written about this. And may I

1 add that because of that, one of the major areas where  
2 that public sector funding has decreased, and I want to  
3 make this a very important point, is that what we really  
4 lost is what historically was a well-established private  
5 sector collaborative. That if you go back into the late  
6 1800s and look at some of the major water resource  
7 institutions and look at some of the major university  
8 facilities that were built to solve some of our public  
9 sector problems, a large part of those major  
10 institutional investments came from the private sector.  
11 It was a huge investment in engineering during that  
12 period. Much has been written about the need to improve  
13 science and mathematics in the U.S. from kindergarten to  
14 12th grade. It certainly is desirable and will make a  
15 big improvement in our scientific literacy. But it will  
16 not necessarily solve the problems that we see in civil  
17 and environmental energy engineering education.

18 Better industry university collaboration on  
19 research and training has also been widely suggested.  
20 And this certainly is, I think, one of the most  
21 important components of restructuring how faculty  
22 research can be directed away from more of the basic  
23 science and disciplines toward those more research  
24 application that, again, I would argue supports our  
25 public sector. So it's not just, you know, monetary

1 investments in engineering and academia, but it's  
2 looking at the content in higher education that that  
3 additional funding would actually support. A good  
4 example of that is actually the type of investments in  
5 specific engineering content that will deal to solve the  
6 problems in deltaic coasts around the world.

7           Nowadays, more than 50 percent of the world  
8 population live, work and spend their leisure time in  
9 deltas, coastal areas and river basins. Delta areas  
10 have a major economic potential because of their  
11 strategic location close to the sea and waterways. They  
12 are the ground that is fertile and rich in minerals and  
13 raw materials. We know that in the Gulf Coast, as well  
14 as any other region in the world. And, however, these  
15 delta areas are very vulnerable. They are usually soft  
16 soil subsidies; therefore, they require very specific  
17 investments in geotechnical type of training. There is  
18 sea level rise and river levels that are unpredictable;  
19 therefore, engineering in water and civil and  
20 environmental is very important, and these are areas  
21 where the environment sustainability is in jeopardy.

22           And, therefore, again, what I want to emphasize  
23 is that because you live in deltaic coasts, it requires  
24 a new investment, a new type of content in engineering,  
25 which, again, is not only civil and related to

1 geotechnical and related to how we build engineering  
2 capacity as we have in the past, but a new type of  
3 engineering capability that will also deal with the  
4 complexity of living in deltaic coasts, which means  
5 bringing in some ecological aspects. An example is the  
6 new master's and Ph.D. program in coastal ecological  
7 engineering that is being submitted to the Board of  
8 Regents, in fact, today. Which there has been presently  
9 a moratorium on all programs in higher education. And  
10 as all of you know, if you have been reading in the  
11 newspaper, another projected cut of 146 million in  
12 higher ed. in the State of Louisiana. There is a  
13 committee that has been formed to look at those kind of  
14 cuts, in addition to the cuts in higher education that  
15 we had last year.

16           So the trend of where we have been talking  
17 about such great aspects of technological change that  
18 society is going to see and this comment that I made in  
19 the beginning of my talk that if you look back in 1850  
20 -- 1890 to 1950, the parallel between our per capita  
21 income associated with what we made investments in  
22 higher education, the GI field is one perfect example,  
23 and the development of engineering programs in  
24 universities with essentially our land grant expansion,  
25 I see that we are moving in the opposite direction than

1 where we should be. We should be at a point in time  
2 where major investments in our engineering capacity, but  
3 it seems that we are moving away and abandoning the role  
4 of higher education in economic development.

5           There is concern -- and let me make one final  
6 point. I will just sort of ad-lib as I normally do from  
7 points on because I'm off the text already. Is that  
8 there is also a concern with the content of engineers  
9 from the more traditional sense of civil and  
10 environmental in some of the fields that we have been  
11 associated with. But I want you to think about the type  
12 of engineers that we have to train today, particularly  
13 to work in deltaic coasts, because of the complexity of  
14 the problems that they have to deal with. You know,  
15 nowadays an engineer -- a student trained in engineering  
16 in water resources, let's say, or just typical civil  
17 engineering dealing with the complexity of water;  
18 nowadays they have to deal with water scarcity, they  
19 have to deal with water quality, they have to deal with  
20 ecosystem protection and they have to deal with  
21 recreation aspects. In other words, the demands on  
22 understanding all of the complexities of how water  
23 influences society not only requires the principles of  
24 engineering but you have to deal with policy, law,  
25 environmental benefits and all of those aspects of

1 managing that project that are much more complex than  
2 when we were just building sewerage treatment plants  
3 around the U.S.

4           So the very specific nature of solving problems  
5 in deltaic coasts and the complexity by which we have to  
6 deal with the fact that we are not building a bridge in  
7 our region, we are building ecosystems, we have to  
8 manage a river and a watershed that extends up to  
9 Canada; that this really requires us to have a very  
10 renewed investment in the type of engineering capacity  
11 that we need in our region. And I'll just leave you  
12 with three examples that I thought of when I was going  
13 through, and to give you some perspective. I happen to  
14 serve on the advisory panel for the Iowa Institute of  
15 Hydraulics. It's one of those institutes that was  
16 formed in the late 1800s that had a huge impact. It is  
17 a facility built on campus, a land grant campus; and,  
18 again, largely supported by private sector and industry  
19 investment. St. Anthony Falls. I am a co-PR on a  
20 project that is funded by the National Science  
21 Foundation out of St. Anthony Falls lab up in Minnesota  
22 and in St. Paul. Again, an institution that was built  
23 on a university campus that was a co-laboratory of  
24 industry working in partnership with universities to  
25 develop products that, again, went to the public sector.

1 And, again, I think that is what captures what we are  
2 hoping to achieve; that same type of complexity training  
3 for engineering and other skills in our coastal  
4 sustainability studio. And with the support of Chevron,  
5 which we are very thankful for. But this is, again, the  
6 kinds of complexity and multidisciplinary training that  
7 I want to emphasize not in the theory, but in the  
8 practice, where we have to have real projects and have  
9 real products.

10 My final model that I put on the table, of  
11 course, is a new Dutch Institute called Deltares. And I  
12 think that what you will find is this was actually  
13 started in January 1st of 2008. It is a very unique  
14 combination of providing geoscience field with water and  
15 soil and subsurface disciplines in engineering, as well  
16 as environmental benefits in all the coastal  
17 environments that are involved in building sustainable  
18 coasts. And I think these are the types of models that  
19 we need to look at because it is fascinating to sit here  
20 and listen to being on the edge of such technological  
21 advances. But if we don't invest in our universities to  
22 be a leader in that, then we really missed the boat.  
23 Thank you very much.

24 MS. FURY:

25 Thank you. Now, Dr. Larry McKinney from

1 the Harte Research Center, Texas A&M.

2 DR. MCKINNEY:

3 I think I'm the speaker you-all have been  
4 waiting for at this point. I'm the last one. I  
5 appreciate the introduction. I think you set the stage  
6 for what I want to talk about. As you said, I'm the  
7 director of the Harte Research Institute in the Gulf of  
8 Mexico. We are a privately funded organization, part of  
9 A&M's system. And our mission and vision is very  
10 complimentary to what you are trying to accomplish here,  
11 and that is why I was very pleased to have the  
12 opportunity to come and talk to you. Our research model  
13 is basically we bring together expertise in  
14 conservation, biology and geologists and ecosystem  
15 studies and we combine them with the economist's  
16 expertise in economics, policy and law to try to  
17 basically hit our mission, which is an economically and  
18 ecologically sustainable Gulf of Mexico. So working in  
19 partnerships, as we talked about here, is very, very  
20 critical. And if we don't have that base, it makes it  
21 difficult to do it. And in these times that we have,  
22 it's truly important that we make the best use of all  
23 the resources of all of those groups.

24 So what I did is I have picked out -- if you go  
25 to the next slide. I picked out three examples to very

1 quickly give you an idea. That is just introductory.  
2 The first one, I always carry this one on my computer to  
3 show folks that are not from the Gulf Coast. I travel  
4 around the country talking to people. It doesn't matter  
5 if you were affected by Katrina. Katrina and other  
6 hurricanes don't just affect the Gulf, they effect the  
7 entire United States. They have a huge impact. And our  
8 ability to predict the intensification of those storms,  
9 their paths, and those type of things are very important  
10 to all of us. And this is a case where the oil and gas  
11 industry off of the Gulf has been a big help. And I'm  
12 really glad that I picked the example that I did after I  
13 heard the introduction going around the table. I picked  
14 Shell. And some of the things that they are doing in  
15 cooperation with the scientists at NOAA, but this  
16 applies across the board.

17 If you would go to the next slide. As I said,  
18 our ability to predict the impact of these hurricanes  
19 not only have an economic impact, they have an impact on  
20 saving people's lives. So the more we know, the better  
21 we are able to talk about and learn about these things;  
22 how they affect the coast will be valuable to all of us.  
23 One of the things that we have to have to do this is  
24 models and data and information. And if you are out in  
25 the middle of the Gulf, that is difficult to do. And we

1 as scientists look at oil and gas platforms out there.  
2 They are wonderful economically, but what we see is a  
3 marvelous platform to put instruments on and to do  
4 research from to help us develop these type of things.

5 I'll just use one example. Go ahead and go to  
6 the next one. This is the Shell platform along the  
7 coast there. If you hit the next one, I'll pick out  
8 Brutus there. And this is one that is going right now.  
9 It's a set of instruments to measure water temperature  
10 from the surface to the bottom, a thousand feet of water  
11 there, which is something we haven't been able to do in  
12 the past; but here is the impact of it. Go ahead. This  
13 just gives you an idea of some of the temperature  
14 readings and what this really means. The next slide.  
15 If you look at the path of Katrina going across the Gulf  
16 there and you see where it intensifies, the colors go  
17 from light to yellow to red, and that is where that  
18 hurricane intensified. And the color on the maps there  
19 are surface temperatures. You really can't get much out  
20 of that as to why that happened. But if you have  
21 subsurface temperatures, like we can collect off of  
22 these platforms -- we will take the next slide -- then  
23 you begin to see something. You can get the impact of  
24 why that storm intensified. And if you have these kind  
25 of measurements throughout the Gulf, we know what the

1 water mass temperature is, and you can begin to get  
2 predictions on intensity and those type of things. And  
3 that is the value of this kind of partnership, of  
4 getting these instruments together, of using -- of  
5 working with industry and government and researchers to  
6 work together to gather this information, which  
7 obviously it has a great impact to the industry. The  
8 Metocean, which is meteorological oceanography, is very  
9 important to the industry, but it's also critical to the  
10 people who live along that coast and that is a great  
11 example of that partnership. Okay.

12 Another area that is of particular interest to  
13 me as I've managed marine fisheries in Texas for about  
14 20 years, and that is artificial reefs and using those  
15 structures for artificial reefs type of things. The  
16 last five years that I managed the fishery -- and this  
17 was economic information developed by other sources, not  
18 ourselves, but third parties; that basically over that  
19 five-year period, we added a thousand jobs a year for  
20 five years in the saltwater recreational fishing  
21 industry. And while I'm still working on trying to  
22 tease that out, a significant part of that came from our  
23 ability to use these rigs and platforms as a point to go  
24 fishing around, as probably all of us have done. So  
25 it's made a very valuable contribution. There again is

1 private industry taking a win-win for everyone, putting  
2 those rigs into artificial reef type situations where  
3 they become fish habitats and attractors.

4           And one of the things I'm concerned about there  
5 -- and I have been traveling for the last couple of  
6 weeks so I'm trying to remember what town I'm in right  
7 now, but I always know I'm in New Orleans. There is no  
8 problem there. But I heard some rumors that the  
9 Minerals Management may be putting a moratorium on  
10 conversion of these platforms into artificial reefs, and  
11 that is a concern to me if that is a true fact. I don't  
12 know if it is or not, but I would warn the Minerals  
13 Management, there is nothing worse than -- hell hath no  
14 fury like a thwarted fisherman; so be ready for that, if  
15 that is the case. I don't know. But that has been very  
16 valuable, a tremendous economic boom for both Louisiana  
17 and Texas and Mississippi. So that is my second kind of  
18 conservation example.

19           And the last one is that -- this happened -- I  
20 think Louisiana has been doing this for some time, but  
21 this is a project that just started up in Texas. Of  
22 course, restoration of oyster reefs that have been  
23 damaged by hurricanes and overfishing and those type of  
24 things is something that we are all interested in. A  
25 lot of work has been going into restoring oyster reefs.

1 Many, many thousands of dollars have gone into oyster  
2 restoration and has literally sunk beneath the surface,  
3 but it wasn't quite done right. There is a science to  
4 be done there, as well as we need more shell material.

5           And one of the projects that we are working on  
6 with restaurants up and down the coast is -- it's not  
7 only Louisiana folks that eat lots of seafood. Texans  
8 do that too. We eat a lot of it; not as much as you  
9 guys do, but we eat a lot. And a lot of oyster shells  
10 get produced. So one of the things the project is, is  
11 to fund -- in working with restaurants, is to take their  
12 oyster shells and rather than going into landfills, to  
13 collect them up and to be used at some of our ports. We  
14 are working closely with some of our ports to collect  
15 the oyster shells to use for oyster reef restoration. I  
16 mentioned this project because the whole thing was  
17 funded by "SEYA," which was monies that came out of oil  
18 and gas; the money coming to us that enabled this  
19 project to go forward. It will generate shell, and I  
20 think that will be important; but even more important is  
21 the awareness that it's going to generate in  
22 restaurants, getting them involved in coastal  
23 restoration more than they perhaps have been and giving  
24 them a real cause to do it. It's just been a big plus.  
25 I think that is a great example of another

1 public/private partnership.

2           And with that, Madam Chairman -- I will tell  
3 you this, we are having a couple of workshops ourselves.  
4 Next March, a Sea Level Rise Conference. You talked  
5 about sea level rise here. That will be coming up in  
6 March. And just the month before that in February, we  
7 will have another workshop on freshwater influence  
8 around the Gulf of Mexico. So you are all certainly  
9 invited to come and participate in those to address the  
10 issues that you-all have talked about. Thank you.

11           MS. FURY:

12           I'll go ahead and open the floor to  
13 questions. Any questions from the panel?

14           MR. MARMILLION:

15           For the both of you, how could some of the  
16 -- let's see how I can ask this diplomatically. Why  
17 weren't some of the stimulus funds for education used or  
18 plowed into this re-engineering, re-design of capacity  
19 for this region? And what could be -- the real question  
20 is, what could be done beyond that stimulus package to,  
21 you know, build our intellectual capital in the region  
22 more?

23           DR. MCKINNEY:

24           If we both are going to answer it, I would  
25 think that it takes too long. That stimulus money --

1 when I was looking at the dollars available, they wanted  
2 to turn their -- quickly, you know, and get quick  
3 results. And what we are talking about here is an  
4 investment in the future, which is equally important,  
5 but difficult.

6 DR. TWILLEY:

7 It's funny you should ask that question. I  
8 actually got turned down by NSF today. I got an e-mail  
9 from a \$3 million project that we submitted from -- it  
10 was a multi-research interdisciplinary program which was  
11 actually stimulus money for us to put an observation  
12 system out on the Wax Lake Delta to look at the capacity  
13 of the river to build the delta. So your timing is very  
14 good, Val. But, you know, the point is already made.  
15 One, you had to have shovel-ready projects at  
16 universities. And if you are build -- if you had things  
17 ready in a certain arena that I think fit very  
18 traditional investments of where the university is  
19 going, then that stimulus money did not help it. And I  
20 think the things that we are looking at here and we have  
21 talked about and, you know, as a group several times is  
22 these innovative, you know, sort of cultural changes at  
23 universities where we have to re-think how we look at  
24 training engineers in other disciplines. And we may not  
25 have that infrastructure in place to quickly tap into

1 the money that was available under the stimulus package.

2           And, you know, the other -- but as far as the  
3 other kind of funding under the MRI -- you know, I'm not  
4 quite sure of the answer, why we didn't get funding. I  
5 don't know if we fall big enough. We don't have many  
6 very large -- if you look at the Gulf Coast in general,  
7 there aren't very large investments in big programs at  
8 our universities in our region. Tulane was just funded  
9 I think an "LTER," which is this urban sort of --  
10 L-T-E-R, which is one of the first sort of multi-year  
11 large scale fundings. I work in the science and  
12 technology center up in Minnesota. You know, we just  
13 don't have that history where we -- and that is what you  
14 have to have in order to take advantage of when you get  
15 a shot of funds like that; you already have to have a  
16 legacy that is there of institutional development that  
17 can capture those short-term investments.

18           DR. MCKINNEY:

19           But the opportunity is not lost. What is  
20 going to happen, what is starting to happen is a cascade  
21 effect. And I was just in D.C. last week and one of the  
22 things we were talking about is that a lot of this  
23 stimulus money went to groups like NOAA and others to  
24 deal with some of their very severe infrastructure  
25 problems that they had with ships, for example. Their

1 research ships are old and all of a sudden they are  
2 being able to come up and re-furbish those ships and get  
3 money into that type of thing. Well, all of those  
4 agencies had huge amounts of money set aside in their  
5 regular budgets for that. Now it's being -- those needs  
6 are being met with other money. And they have lots of  
7 plans of what to do with it, but there is an opportunity  
8 of funds there to take a look at let's see if we can get  
9 at that and put it at a higher priority. So that is  
10 policy type issue that there is just an opportunity to  
11 come at that next. So it's going to be a growing  
12 cascade of things of whoever can come up with the best  
13 idea first has the best shot at it.

14 MS. FURY:

15 Dr. Twilley, I have one question. You  
16 talked about the complexity of research these days that  
17 you have to wear many hats. And I look at the energy  
18 industry and look at just gasoline manufacturer and how  
19 we have been driven to boutique fuels to meet certain  
20 requirements in certain areas. It almost sounds to me  
21 like we are creating our engineering programs. We are  
22 creating boutique engineers with people with very, very,  
23 very special -- they have become very specialized in a  
24 very small niche. And I guess I wonder directionally  
25 moving away from the core of the fundamental engineering

1 that could really branch out and do a lot of things, are  
2 we doing a good thing? Is it really necessary? I'm  
3 just curious.

4 DR. TWILLEY:

5 That is a really good comment. Some of the  
6 statistics I took and the comments that I made come out  
7 of a journal that is on contemporary education in water  
8 resource management. And there were a series of  
9 articles that were actually published about water  
10 resource engineering training in higher education. And  
11 in that series of papers, of course, there was one paper  
12 that, you know, was promoting more interdisciplinary  
13 training of engineers to deal with the complexity of  
14 what they have to manage. The next article was about  
15 "But don't forget your core training and principles."  
16 And we have always struggled with this  
17 multi-disciplinary, interdisciplinary. We always talk  
18 about how the universities are vertically structured.  
19 We always say, you know, society's problems are becoming  
20 more complex, but universities are becoming more  
21 compartmentalized. So problem solving, you know, is not  
22 something we have done very well. And it could be, I  
23 guess, one of the arguments of society is it doesn't  
24 feel like their investment was as good as it was maybe  
25 back in the land grant era. I don't know.

1           Some states and societies do invest very highly  
2 in education. But to answer your question, we don't  
3 seem to be on that track right now, to be very blunt.  
4 But the -- it is an issue. And the way that we are  
5 dealing with it in our Ph.D. and master's program is  
6 that we require at the undergraduate level the core.  
7 And we cut no corners on that core training as an  
8 undergraduate. And then you specialize in a master's  
9 program. You still have to be trained as an engineer.  
10 When you get to the Ph.D., we call it engineering  
11 sciences and there you have a lot more electives. And  
12 so it really depends on, you know, as you go up, you  
13 start opening up more to electives. But when you are  
14 starting out, you keep that core. As you know, in  
15 engineering training you have very little electives.  
16 Tennis just isn't something you fit into your schedule.  
17 And so, you know, so I think that is the way we have  
18 approached it. But it's a very good question.

19           MS. FURY:

20           Just a comment too, for the record. Since  
21 this is for the record, Dr. McKinney, I wanted to go  
22 ahead and address the rumor on reef -- Rigs to Reef  
23 program. And I might ask Mike if he wants to join that.  
24 There are a lot of mistruths around that. There is  
25 pressure on the Rigs to Reef program. But, Mike, do you

1 want to address that?

2 MR. PRENDERGAST:

3 Yeah, I would also like to touch on the  
4 discussion you and Dr. Twilley had on the engineering  
5 programs too, but I did want to clarify that issue. In  
6 MMS' Rigs to Reef program, initially when it was set up,  
7 the Louisiana Shrimpers' Association did have a say and  
8 there were designated artificial reef sites that were  
9 chosen around the Gulf of Mexico, but that had input  
10 from the coastal states, MMS and the Louisiana  
11 Shrimpers' Association for those sites that were  
12 offshore Louisiana. After some of the damage from the  
13 hurricanes, both Louisiana and MMS have approved some  
14 special artificial reef sites. And in doing that, the  
15 Louisiana Shrimpers' Association kind of took a look at  
16 that and reminded us of the way the process was  
17 initially set up that they really were supposed to have  
18 a voice at the table. So really what MMS is doing right  
19 now is going back to the original process and getting  
20 that voice back to the table. And we are not going back  
21 and changing some decisions that we already made, but we  
22 are taking a look at specifically some of the special  
23 artificial reef sites. We call them SARS, another  
24 government acronym. We are taking a look more at those,  
25 and you may see a reduction or possibly even an

1 elimination of some of those sites in terms of future  
2 requests, but still not at this time talking about  
3 ending the program entirely.

4 DR. MCKINNEY:

5 This is only Louisiana, or Gulf-wide?

6 MR. PRENDERGAST:

7 I believe that is Gulf-wide. It started  
8 more with the Shrimpers' Association coming to talk to  
9 us about some of these sites.

10 DR. MCKINNEY:

11 The Louisiana Shrimpers?

12 MR. PRENDERGAST:

13 Yes.

14 MS. FURY:

15 And, you know, I think part of it, though,  
16 to be honest with you, I think part of it is managing  
17 the multiple use issues. I think the other thing,  
18 though, a real conundrum coming in the future, though,  
19 would be some of those planning areas are actually  
20 getting filled. So at some point in time, you know,  
21 what does the expansion of the Rigs to Reef program look  
22 like because it's been a great program. So a lot of  
23 issues there, but, anyway, I just thought we should put  
24 that on the record.

25 MR. PRENDERGAST:

1           Yeah, I did want to clarify that. Also, I  
2 think there were excellent points made in Dr. Twilley's  
3 presentation and the point that you brought up too. One  
4 thing I would like to add to that, as an engineer myself  
5 and as the father of an engineering student who is a  
6 senior, he made the focus of his senior project to look  
7 at all of the different curriculums in engineering, the  
8 types of jobs that would be offered in the future. And  
9 he kind of used that to make his choice. One of the  
10 things that you have to remember is that when these  
11 students make their choice to go into that field, they  
12 really will be looking at whatever I choose, Am I going  
13 to be able to have a 30 to 40 year career in this, and  
14 am I going to be able to do it somewhere closer to home  
15 or am I going to be going overseas.

16           So one of the things, if we would start a new  
17 program like that, we would want to have some assurances  
18 along, at least the Gulf Coast, that we are going to  
19 maintain a commitment to programs in terms of coastal  
20 deltaic systems and continue to spend money along those  
21 lines. Because that was a big factor in my son's  
22 decision when he chose.

23           DR. TWILLEY:

24           Yeah. When we put in the -- just take the  
25 deltaic restoration as a program. When we were doing

1 the chief engineer's report, we were just pricing out  
2 just the restoration part of it, and it was \$500 million  
3 a year for 30 years. So you can get out of school --  
4 and that is just building; that is not maintenance and  
5 operations. So, you know, when you look -- and deltaic  
6 coasts around the world, when you look at water  
7 resources and the demands on these coastal landscapes  
8 because of the richness and fisheries and mineral rights  
9 and water and navigation and commerce. Port Fourchon is  
10 not going to disappear in 30 years. We hope it doesn't.  
11 So I think the job -- what we are building as a program,  
12 again, is coastal and ecological engineering, but is to  
13 strategically build the infrastructure that we need in  
14 the deltaic coast, but also maintain the environment.  
15 And we do view that as a public sector type of program  
16 and one that industry has a huge investment and it's  
17 just not going to go away.

18 MR. PRENDERGAST:

19 And I know it costs money and also  
20 resources because we are trying to do it at MMS, but  
21 also as much as possible when industry can offer  
22 internships. I think that is an important thing in  
23 terms of getting that actual field experience.

24 DR. TWILLEY:

25 Internships and we need to fund the project

1 base. But it was amazing to see -- thinking about  
2 moving more towards theory and away from practice is a  
3 trend that is going on in engineering, and I think that,  
4 you know, we have to get back to work on smart levee  
5 systems, we make joint investments, we train students on  
6 these kinds of things that we are building. And it's  
7 really critical. Some of my basic sciences people would  
8 probably shoot me if they heard me say this. Sorry. I  
9 got tenure.

10 MS. FURY:

11 Okay. Any other questions from the panel?  
12 Okay. Well, we are close to on time. I think it's been  
13 a great afternoon. Very informative to me. And I look  
14 back and say, Hey, you know, we are fraught with  
15 challenges, but we sure have a world of opportunity and  
16 it's right here in the region. And with that, Mark, do  
17 you want to close.

18 MR. HURLEY:

19 Well, Hey, I think you said it all.  
20 Dr. McKinney said we were waiting for the last  
21 presentation. That is not true at all. It's been a  
22 fascinating day. It really has. So thank all of the  
23 speakers who were here. And it was really a great day,  
24 so thank you. We learned a lot.

25 (The hearing was concluded.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

REPORTER'S PAGE

I, LAINEY B. MARGAVIO, Certified Court Reporter, in and for the State of Louisiana, the officer, as defined in Rule 28 of the Federal Rules of Civil Procedure and/or Article 1434 (B) of the Louisiana Code of Civil Procedure, before whom this sworn testimony was taken, do hereby state on the Record;

That due to the interaction in the spontaneous discourse of this proceeding, dashes (--) have been used to indicate pauses, changes in thought, and/or talkovers; that same is the proper method for a Court Reporter's transcription or proceeding, and that dashes (--) do not indicate that words or phrases have been left out of this transcript; that any words and/or names which could not be verified through reference material have been denoted with the phrase "spelled phonetically."

Lainey B. Margavio, CCR  
Certified Court Reporter



